

CITY COUNCIL  
CITY OF NEW YORK

----- X

TRANSCRIPT OF THE MINUTES

Of the

COMMITTEE ON ENVIRONMENTAL PROTECTION

----- X

September 22, 2015

Start: 10:08 a.m.

Recess: 12:33 p.m.

HELD AT: Committee Room - City Hall

B E F O R E:

COSTA CONSTANTINIDES  
Chairperson

COUNCIL MEMBERS:

DONOVAN J. RICHARDS  
ERIC A. ULRICH  
RORY I. LANCMAN  
STEPHEN T. LEVIN

## A P P E A R A N C E S (CONTINUED)

Anthony Fiori  
Director of Energy Regulatory Affairs  
Mayor's Office of Sustainability

Alex Posner  
Professional Geologist  
New York City Department of Design & Construction

Frederick Stumm  
Doctor  
United States Geological Survey

Bob Wyman  
Geothermal Activist

Olsen  
Graduate  
UCLA

Ling Tsou  
Co-Founder  
United for Action

Katherine Scopic  
People's Climate Movement

[gavel]

CHAIRPERSON CONSTANTINIDES: Alright.

Good morning and welcome. I am Council Member Costa Constantinides, Chair of the Committee on Environmental Protection. Today the committee will hear Intro 609 of 2015, a local law to amend the administrative code of the City of New York in relation to the use of geothermal energy in New York City. Since ancient times naturally occurring hot water has been used for baths, for therapeutic uses and other purposes. These uses are limited to locations where certain geothermal resources are or near the surface. Whatever heat from within the earth can be harvested in various ways to create usable, clean, renewable energy. The earth's core retains heat from the time of earth's formation. Additional heat is generated by the breakdown of radioactive substances within the earth. And 46 percent of geothermal entity, energy, come from the radiated heat from the sun stored in the shallow layers of the earth. This heat moves via convective, convection and conduction outward from the core to the... from... towards the earth's surface. The result is virtually a unlimited amount of heat

2 that keeps the subsurface at a steady warm  
3 temperature. On December 14<sup>th</sup>, 2014 Mayor de Blasio  
4 signed legislation enacting local law 66 of 2014  
5 which required New York City to reduce its green...  
6 citywide greenhouse gas emissions by 80 percent  
7 relative to 2005 levels by the calendar year 2050.  
8 Buildings through the use of heating fuel, natural  
9 gas, electricity, steam, and biofuel are  
10 responsible for over 70 percent of citywide  
11 emissions. Given this and the fact that the vast  
12 majority of existing buildings are expected to  
13 remain beyond... well beyond 2050 the city's stock of  
14 one million buildings represents the greatest  
15 potential source of citywide greenhouse gas  
16 emissions reductions and is necessary for the city  
17 to reduce emissions from the building sector in  
18 order to comply with local law 66. Renewable energy  
19 can be utilized to reduce emissions from buildings  
20 by increasing reliance on renewable energy  
21 technologies on site, within buildings, to supplant  
22 the current role fossil fuels play in heating,  
23 cooling, hot water, and cooking. Reducing the  
24 city's reliance on fossil fuel based energy sources  
25 in favor of renewable energy sources particularly

2 in buildings it's critical to achieving the city's  
3 goal to reduce the greenhouse gas emissions, 80  
4 percent by 2050. Ground source heating and cooling  
5 uses technology to enhance the heating and cooling  
6 potential of underground heat. This use is much  
7 broader in scope than use of geothermal resources  
8 for electricity generation near the surface as  
9 relatively shallow wells can reach depths with  
10 sufficient to meet these energy needs. The essence  
11 of ground source heating and cooling is that it  
12 uses ground loop technology to exchange heat  
13 between the even temperature of the earth and the  
14 inside of a building in order to heat the building  
15 in winter and cool the building in the summer. In  
16 the case of New York City, the subsurface areas  
17 maintain steady temperatures in the low 50s degrees  
18 Fahrenheit. In a ground loop system, a fluid such  
19 as water is pumped between the building and below  
20 ground level environment. In the winter the heat  
21 picked up ground fluid... underground by the fluid is  
22 used to heat the building. And in the summer the  
23 fluid removes the heat from the building and  
24 deposits it underground. Ground source heating and  
25 cooling can be affected almost anywhere in the

2 United States using a geothermal heat pump, a  
3 highly efficient renewable energy technology. Many  
4 residential buildings and commercial organizations  
5 in New England operate with ground source heating  
6 and cooling systems including Trinity Church and  
7 the Massachusetts Audubon Natural Center in Boston,  
8 Massachusetts. And the City Annex Hall in  
9 Cambridge, Massachusetts. New York City also has  
10 buildings either using or planning to use  
11 geothermal energy including the Weeksville Heritage  
12 Center, The Brooklyn Children's Museum, and St.  
13 Patrick's Cathedral. Traditional... traditional  
14 technology... traditional systems rely on heating or  
15 cooling air and then transporting it around the  
16 building, a much less efficient approach. In  
17 addition, where hot and or chilled water can be  
18 used instead of disposed underground further  
19 efficiencies can be achieved. Next each heat pump  
20 works independently to heat or cool the zone or  
21 room it serves making these systems both efficient  
22 and better at servicing buildings that have  
23 multiple zones. Last ventilation can be achieved in  
24 using additional heat pumps. There is no need for  
25 heat recovery systems. All these advantages help

2 make these systems easy and cheap to maintain and  
3 contribute to their long life expectancy. One final  
4 and critical advantage is that these systems are  
5 better for the environment than other similarly  
6 purchased systems. All the advantages above; less  
7 equipment, efficient movement of energy, and the  
8 like directly lead to a lower pollution footprint.  
9 In addition, the small amount of electricity needed  
10 to operate the system is located at a power plant  
11 and not on site where a scrubber and other  
12 technology will help reduce pollution. All these  
13 traits add up to make geothermal heating and  
14 cooling the best technology in terms of greenhouse  
15 gas emissions. That is why I believe Intro 609 is  
16 so crucial in getting our city as far... getting our  
17 city to the 80 by 50 paradigm. Under this... under  
18 this bill the city will help develop standards for  
19 the installation and maintenance of geothermal  
20 systems including standards related to assessing  
21 subsurface conditions. It will also help develop  
22 qualifications for person... persons who install  
23 geothermal systems. As people looking to invest in  
24 a potentially expensive new system should have  
25 peace of mind that their installers are qualified

2 to do the job. Finally, it will also establish a  
3 program encouraging the installation of solar  
4 energy systems coupled with geothermal heat pump  
5 systems in buildings citywide giving homeowners and  
6 property owners another path to fully... full carbon  
7 neutrality. New York City is yet to fully embrace  
8 its geothermal energy generation potential.  
9 However, most New York City buildings could utilize  
10 geothermal energy for heating, cooling, and hot  
11 water production. Today's hearing is a step towards  
12 a more sustainable future using energy that does  
13 not create greenhouse gas emissions and does not  
14 damage the environment in the process of retrieving  
15 energy. Now let's hear from the administration. So  
16 we have Anthony Fiori, the office... Mayor's Office  
17 of Sustainability, Alex Poner, Alex Posner from the  
18 New York City DDC, and Cathy Passion okay, Mayor's  
19 Office of Sustainability. Want to make sure I said  
20 it right. With a name Constantinides you want to  
21 make... pronounce people's names right. Samara if you  
22 can swear in the witnesses.

23 COMMITTEE CLERK SAMARA: Can you please  
24 raise your right hands. Do you swear affirm to tell  
25



2 the truth, the whole truth, and nothing but the  
3 truth today?

4 ANTHONY FIORI: Yes. Good morning  
5 Chairman Constantinides and members of the  
6 Committee on Environmental Protection. I'm Anthony  
7 Fiori Director of Energy Regulatory Affairs for the  
8 Mayor's Office of Sustainability. And I'm joined by  
9 my colleagues Cathy Passion, Senior Policy Advisor  
10 in the Mayor's Office of Sustainability, and Alex  
11 Posner, a professional geologist and Project  
12 Director with the Department of Design and  
13 Construction. Thank you for inviting us to testify  
14 regarding the Introduction 609 or Intro 609 which  
15 would further the city's understanding of where  
16 opportunities for geothermal systems lie in New  
17 York City and foster their application where it  
18 makes sense both technically and economically.  
19 Intro 609 is an expansion of Local Law 32 for the  
20 year 2013 which sought to explore the feasibility  
21 of developing geothermal energy resources in the  
22 city. On February 28<sup>th</sup>, 2015 the Mayor's Office of  
23 Sustainability in coordination with the Department  
24 of Design and Construction published online a  
25 report entitled geothermal systems in their

2 application in New York City February 2015  
3 hereafter referred to as the GSA study. This in  
4 conjunction with the geothermal heat pump manual  
5 2012 developed by the Department of design and  
6 construction meet many of the reporting  
7 requirements in Intro 609. These reports also  
8 provide valuable lessons that can inform Intro 609  
9 and focus the city's efforts on the greatest  
10 opportunities for geothermal systems in New York  
11 City. At this point I'd like to turn it over to  
12 Alex who will provide a brief overview of  
13 geothermal systems, their benefits, and what  
14 conditions are necessary for their success. I will  
15 then speak to some ideas on how to strengthen the  
16 bill. Push the...

17 ALEX POSNER: Okay. Good morning  
18 everyone. I am Alex Posner and I've been working  
19 for the Department of Design and Construction since  
20 1999. For the past 15 years I and others at DDC  
21 have been designing and installing geothermal  
22 systems for DDC public building projects throughout  
23 the five boroughs. Geothermal systems have been  
24 used extensively for heating and cooling buildings  
25 throughout the world for over 70 years. These

1 systems if designed properly can reduce or  
2 eliminate a building's dependency on fossil fuels,  
3 eliminate rooftop mechanical equipment and reduce  
4 energy cost. Because of DDC's proactive position in  
5 advancing the concept of high performance or  
6 greener sustainable buildings since the 1990s  
7 geothermal systems have been one of many options  
8 for improving a building's energy efficiency and  
9 overall design. Just to be clear these systems as  
10 many may believe do not generate electricity but  
11 instead utilize low temperature energy generally  
12 between 50 and 60 degrees Fahrenheit and found at  
13 depths between 300 and 2,000 feet below the earth's  
14 surface to precondition indoor air temperatures.  
15 This constant stable temperature available year  
16 around is the beauty of these systems compared to  
17 solar which does not operate when the sun doesn't  
18 shine geothermal's always available 24 hours a day.  
19 By construction bore holes or wells to depths  
20 mentioned above we create a pathway to retrieve the  
21 earth's stored energy from the surrounding bedrock  
22 or groundwater. The energy is transferred either by  
23 pumping natural ground water or circulating a  
24 groundwater antifreeze solution in and out of  
25

2 grounded boreholes or wells thereby transferring  
3 this energy to the building. A heat pump which  
4 incorporates a compressor similar to those found in  
5 your home air conditioner or refrigerator is used  
6 to bring temperatures into the range designed for  
7 human comfort. The advantage here is that the heat  
8 pumps are reversible to accommodate changing needs  
9 throughout the four seasons providing both heating  
10 and cooling in one unit. Again this is all  
11 accomplish... accomplished by utilizing the year  
12 around steady temperatures of the earth. The three  
13 basic types of geothermal systems utilized by DDC  
14 and others within the city are open loop systems,  
15 closed loop, and standing column. An open loop  
16 system essentially uses groundwater from an aquifer  
17 such as those found in great quantities in Brooklyn  
18 and Queens. Energy transfer is directly from the  
19 constant water temperature in the aquifer to the  
20 heat pumps. The second system known as a closed  
21 loop system utilizes drilled bore holes down to  
22 approximately 500 feet. Energy transfer here occurs  
23 by pumping an antifreeze solution in and out of  
24 each bore hole via polyethylene tubing and into the  
25 building's heat pumps which then precondition

2 indoor air resulting in the need for less fossil  
3 fuel based energy to bring indoor air to the  
4 desired comfort level. The third type of system we  
5 use is called the standing column which is a  
6 freestanding open bore hole down to 2,000 feet that  
7 brings in small amounts of available ground water  
8 up through the center of the bore hole and into the  
9 heat pumps. The heat pumps reject the water and  
10 send it back down into the same bore hole. As the  
11 water flows down the inner walls of the bore hole  
12 it reject the higher or lower temperatures back to  
13 the earth for later use similar to a rechargeable  
14 battery. For projects that do not have enough  
15 horizontal space for standalone geothermal systems  
16 hybrid systems may be available. Hybrid systems...  
17 sorry hybrid designs that combine geothermal  
18 systems with traditional systems can still reduce  
19 energy usage and increase the overall efficiency of  
20 a building. The geology of the city is very complex  
21 compared to other parts of the country where the  
22 subsurface geology may be more homogenous in nature  
23 which is why understanding the subsurface is key to  
24 any project success. The system then may work in  
25 one part of the city, may not be appropriate or

2 cost effective for another. For example, open loop  
3 systems use ground water for heat exchange by  
4 extracting and returning ground water through  
5 supply and diffusion wells installed in permeable  
6 aquifers such as standing gravel deposits. While  
7 these are generally the least expensive systems to  
8 install water quality is a critical factor as  
9 dissolved metals, bacteria, and high... can severely  
10 impact design maintenance and overall life  
11 expectancy. Open loop systems are most  
12 appropriately used in areas of Queens and Brooklyn  
13 where highly productive aquifers are very common.  
14 By contrast the standing column well is a variation  
15 of the open loop system that combines the supply  
16 and the diffusion well into one unit. This results  
17 in the slower transfer of heat requiring much  
18 greater depth to bore holes, down to about 500... 15  
19 hundred feet to achieve sufficient surface area for  
20 heat transfer. These systems are applicable where  
21 bedrock is close to the surface which mitigates  
22 drilling costs as is the case in sections of  
23 Manhattan and the Bronx. Finally, a closed loop  
24 system is sealed and completely separated from the  
25 surrounding environment. Heat exchange occurs

1 through a conduction between a closed antifreeze  
2 loop and the ground. System costs are similar to  
3 standing column system. They also require the least  
4 amount in maintenance but are also the least  
5 efficient and so require the greatest amount of  
6 land area. Because of the above described  
7 complexities it is imperative that not only  
8 qualified engineers but geologists who are well  
9 versed in subsurface conditions of the city  
10 facilitate the design and construction of  
11 geothermal systems. Since beginning the geothermal  
12 program at DDC around the year 2000 the agency has  
13 installed approximately six systems with a few more  
14 currently in construction and several new ones in  
15 design. The number of installations reflect the  
16 majority of DDC's work which involves building  
17 renovations and a difficulty of installing  
18 geothermal systems in existing buildings. To  
19 educate and assist DDC project managers and their  
20 consultants DDC published a first edition of  
21 geothermal heat pump manual in the year 2002, the  
22 only one of its kind at the time. Subsequently  
23 because of changes in the industry and  
24 technological advances in materials the book was  
25

2 updated in 2012. Since that time the manual has  
3 become the how to guide for doing geothermal in the  
4 city. I will now turn it back to Anthony to discuss  
5 recommended modifications to the bill for  
6 consideration.

7 ANTHONY FIORI: Thanks Alex. The Office  
8 of Sustainability appreciates the attention the  
9 city council is paying to geothermal energy  
10 systems. We believe that these systems hold the  
11 potential to help us reach the goal of cutting  
12 citywide greenhouse gas emissions 80 percent from  
13 2005 levels by 2050. As Alex described geothermal  
14 systems have the potential to provide many benefits  
15 for any building in energy management project.  
16 Given DDC's breadth of experience with these  
17 systems and what we learned in our research as  
18 described in the February 2015 GSA written study  
19 we'd like to provide some suggestions to strengthen  
20 the bill so that it results in the implementation  
21 of geothermal systems in a judicious and cost  
22 effective manner. Our suggestions fall into three  
23 main categories; amending the reporting  
24 requirements to make the information as useful as  
25 possible, determining ways to ensure that standards



2 are set for quality geothermal systems. And  
3 designing an efficient and easier way to assess  
4 geothermal feasibility on a site specific basis.  
5 Intro 609 asked the city to play a leadership role  
6 in scaling up the application of geothermal systems  
7 within city buildings and on private properties. It  
8 looks to do this in a number of ways. The bill  
9 calls for a report on the range of issues relating  
10 to geothermal systems in the city. These issues  
11 have in large part been addressed by the Mayor's  
12 Office of Sustainability and Department of Design  
13 Construction's February 2015 GSA study. Where the  
14 bill requires additional or new information such  
15 information would be very difficult to obtain and  
16 in some instances impossible and in our opinion  
17 would not be necessary to advance geothermal  
18 systems. For example, the bill requires making  
19 publically available the locations of buildings  
20 currently using geothermal systems and for each  
21 such building the type of geothermal system used.  
22 While this is possible for city buildings it would  
23 be impossible for private buildings because permits  
24 not required for closed loop geothermal systems  
25 with wells less than 500 feet in depth. Therefore,

1 there is... there are no readily available records of  
2 private buildings that have installed these types  
3 of geothermal systems. We would like to see this  
4 gap filled by requiring notification of such  
5 instillations. In addition, the bill requires  
6 making publically available the potential benefits  
7 of replacing all fossil fuel heat systems with  
8 geothermal systems including the expective  
9 [phonetic] health benefits like premature  
10 mortality, morbidity, emergency room admissions,  
11 and lost work days. First it should be noted that  
12 the complete replacement of fossil fuels by  
13 geothermal systems is in fact not possible.  
14 Geologically there is not enough thermal capacity  
15 to supply geothermal energy to a city as dense as  
16 New York City. Second it would be tremendously  
17 resource intensive to demonstrate something that we  
18 already know to be true. There's no arguing that  
19 avoiding the use of fossil fuels through the  
20 increased efficiency would result in health  
21 benefits. In fact, the Department of Health and  
22 Mental Hygiene recently published a paper looking  
23 at the public health benefits of reducing fine  
24 particulate matter through the clean heat program  
25

2 which helped building owners comply with clean fuel  
3 regulations promulgated by the Department of  
4 Environmental Protection. While the Department of  
5 Health and Mental Hygiene's work can potentially be  
6 leveraged to assess the impact of geothermal  
7 systems on public health indicators this would  
8 require significant additional resources to  
9 conclude what is already demonstrably true. Beyond  
10 the reporting requirements the bill would also call  
11 for a rule making set standards for the  
12 installation and maintenance for geothermal systems  
13 and registration as well as other requirements for  
14 designers and installers. To the extent such  
15 standards can be developed on a broad basis they  
16 can be found in the Department of Design and  
17 Construction's Manual which provides general  
18 guidance related to the criteria for selecting a  
19 specific geothermal system, construction of those  
20 systems, and operation and maintenance. Anything  
21 more than this would require a detailed site  
22 specific engineering study. The bill also directs  
23 rule making related to requirements for persons who  
24 design and install geothermal systems. The  
25 administration agrees that required qualifications

2 should be made clear. We look forward to further  
3 discussions with industry stakeholders and the  
4 council to determine the most appropriate method to  
5 determine such standards. Other important  
6 considerations include how these standards would be  
7 enforced, what the workload and cost involved with  
8 enforcement and registration might be. Would these  
9 justify a registration fee? What penalties might  
10 come from violations of these standards? And would  
11 any of these standards require amendments to the  
12 plumbing or construction codes? Finally, the bill  
13 calls for a determination of the number of city  
14 owned buildings in each community district for  
15 which instillation of geothermal systems would be  
16 cost effective. The city manages roughly 4,000  
17 buildings. To determine the cost effectiveness of a  
18 geothermal system for each city building would be  
19 very costly and time consuming because of site  
20 specific engineering analysis would need to be  
21 completed. Rather than performing a full assessment  
22 of each city building we... we recommend that the  
23 council authorize the development of a geothermal  
24 system screening tool to address new construction  
25 or a retrofit to an existing building's heating and

2 cooling system. Then where and when applicable a  
3 detailed engineering and benefit analysis. This  
4 would allow the city to cost effectively assess  
5 where geothermal systems make sense and then  
6 provide a definitive mechanism for valuing the  
7 climate benefits associated with geothermal systems  
8 as compared to more traditional solutions. By using  
9 the screening tool we'll be able to zero in on  
10 those projects that present viable opportunities  
11 for successful geothermal implementation without  
12 undergoing a costly engineering study for buildings  
13 where a geothermal system does not make sense. As  
14 Alex mentioned successful implementation of  
15 geothermal systems depends on site specific  
16 conditions. The Department of Design and  
17 Construction has completed phase one of mapping  
18 work that describes the underlying hydrogeology of  
19 New York City and its application for citing  
20 geothermal systems. In phase two this map will be  
21 layered with thermal conductivity, building energy  
22 use, and lot area to further define where  
23 conditions are suitable for geothermal systems.  
24 This tool will also consider neighboring lots  
25 coupled with the space requirements for a given

2 building. It is our belief that this approach would  
3 make the process of determining feasibility of  
4 geothermal and city buildings much quicker and less  
5 costly as well as providing the public with a tool  
6 to help determine feasibility. Where a given public  
7 project meets the key criteria included in the  
8 screening tool than a detailed engineering and  
9 benefits analysis should be required to compare  
10 geothermal systems with one coupled with... system  
11 and other options as determined by the building  
12 owner or developer. This benefits analysis should  
13 include the federal environmental protection  
14 agencies' social cost of carbon to factor in the  
15 cost effectiveness calculation greenhouse gas  
16 emissions associated with each of the alternative  
17 systems. The EPA and other federal agencies use the  
18 social cost of carbon to estimate the climate  
19 impacts of rule making the social cost of carbon is  
20 an estimate of the economic damages associated with  
21 an increase in carbon dioxide emissions  
22 conventionally one metric ton in a given year. This  
23 dollar figure also represents the value of damages  
24 avoided for a one-ton emission reduction in CO2  
25 emissions. The social cost of carbon is meant to be

2 a comprehensive estimate of climate change impacts  
3 and includes changes in net agricultural product...  
4 productivity, human health, property damages from  
5 increased flood risk, and changes in energy system  
6 costs such as reduced cost for heating and  
7 increased cost for air conditioning. However, given  
8 current modeling and data limitations it does not  
9 include all important damages. The international  
10 panel on climate change's fifth assessment report  
11 observe that the social cost of carbon estimates  
12 omit various impacts that would likely increase  
13 damages from carbon dioxide emissions therefore we  
14 recommend using the highest of the social cost of  
15 carbon numbers reported by EPA, the 95<sup>th</sup> percentile  
16 social cost of carbon estimate at a three percent  
17 discount rate which is currently valued at 117  
18 dollars per metric ton as the minimum dollar value  
19 to factor into the benefits analysis.

20 Alternatively, site and project specific data can  
21 be developed. The higher of the two values should  
22 be used in the benefits analysis. In addition, if  
23 in the future other monetary benefit programs come  
24 into existence, for example payments for peak load  
25 reduction, they should also be factored into the

2 benefits analysis. Once these elements have been  
3 factored into the analysis the option with the  
4 lowest net present value should be selected. The  
5 proposed legislation is aligned with the  
6 sustainability goals outlined in One NYC. And the  
7 Office of Sustainability agrees with its intent. We  
8 hope these suggestions help to strengthen the bill  
9 and foster the implementation of this low carbon  
10 energy solution in New York City. The  
11 administration looks forward to working with the  
12 council to further refine the proposed legislation  
13 in a way that allows the city to meet the energy  
14 efficiency, resiliency, affordability, and  
15 sustainability goals laid out in One NYC in a cost  
16 effective manner. Thank you.

17 CHAIRPERSON CONSTANTINIDES: Thank you.  
18 Want to recognize my colleague from Queens Donovan  
19 Richards. Thank you Donovan for being here. Thank  
20 you for your testimony and let me... I have a few  
21 questions. So first I definitely appreciate those  
22 suggestions. I think that there is a solid ground  
23 for us to work together and collaborate to get  
24 where we want to go. And I appreciate your efforts  
25 today that you sort of put through these



2 suggestions. So thank you. So do you have an  
3 estimate for how many buildings in the city could  
4 potentially use geothermal? Ballpark.

5 ALEX POSNER: We only know that the  
6 Department of Design and Construction has designed  
7 and installed six systems.

8 ANTHONY FIORI: Six systems installed  
9 and several in design and construction.

10 CHAIRPERSON CONSTANTINIDES: And.. you  
11 know which areas of the city do you think would be  
12 best utilized.

13 ANTHONY FIORI: Well again it depends on  
14 what... what borough we're talking about; Brooklyn,  
15 Queens... Open loop systems are probably the most  
16 efficient. They're the cheapest. But they also can  
17 be the most problematic also because of groundwater  
18 quality issues. Not necessary everywhere but you do  
19 have to test it. You can do closed loop systems in  
20 Brooklyn and Queens also. Again you know they're a  
21 little bit more expensive you know then the open  
22 loop systems. And with closed loop, again which do  
23 require a lot of land space, and unfortunately we  
24 don't... you know this is New York City and you know  
25 land space is at a premium. In Manhattan in the

2 Bronx we mostly do standing column because bedrock  
3 is very close to the surface. You can also do  
4 closed loop there you know which go down to about  
5 500 feet. But again you need a lot of horizontal  
6 space. Staten Island probably mostly standing  
7 column because bedrock is close to the surface and  
8 closed loop. So again Brooklyn Queens is most  
9 amendable to open loop systems but they can be  
10 problematic.

11 CHAIRPERSON CONSTANTINIDES: I hear you.

12 ANTHONY FIORI: But we have done two...  
13 two systems over there and they are operational.

14 CHAIRPERSON CONSTANTINIDES: Great.

15 ALEX POSNER: I would... I would just add  
16 that think the... the good news is there's different  
17 types of geothermal systems that allow themselves  
18 to be used under different geological conditions.  
19 Some of the difficulty in... in the city has been  
20 trying to retrofit buildings with these systems.  
21 They... they appear to be more amendable to new  
22 construction. With retrofits there... there is the  
23 mystery of the underground infrastructure that  
24 always presents some... some difficulties.  
25 Underground spaces is taken up by quite a bit of...

2 of our infrastructure and then drilling and  
3 instillation with... with the associate piping that's  
4 required you know really deserves considerable  
5 property area in order to get drill rigs in and the  
6 vertical clearance that drill rigs need to... to do  
7 these instillations you know require... require some  
8 open property area in order to get installations  
9 done.

10 CHAIRPERSON CONSTANTINIDES: Alright so  
11 let's walk this quickly... I want to recognize first  
12 my colleague from Queens Rory Lancman is here.  
13 Thank you Rory for being here. Want to just quickly  
14 walk through what currently is there. If you wanted  
15 to... what state and city permits would someone need  
16 to obtain if they wanted to install a geothermal  
17 system?

18 ANTHONY FIORI: Well again a lot of that  
19 information with the permitting is in you know  
20 DDC's 2012 you know heat pump manual. But just  
21 roughly for open loop systems you... you're required  
22 a drilling permit from the State Department of  
23 Environmental Conservation. And with that comes a  
24 permit to operate the system. Again the state's  
25 main concern is water quality issues because you

2 are extracting the water, bringing it up to the  
3 surface, and then putting it back into the same  
4 aquifer. So even though they're really a closed  
5 systems they consider it a open because you're  
6 bringing it up to the environment. So they're  
7 concerned about the amount of pumping and the... and  
8 the quality. And I believe if you pump a million  
9 gallons per day or more you're required to have a  
10 public hearing. We've never had that before but...

11 CHAIRPERSON CONSTANTINIDES: Mm-hmm.

12 ANTHONY FIORI: ...that's one of the  
13 requirements. It's generally not a you know a major  
14 problem getting those permits. So that's a open  
15 loop systems. With closed loop systems there's... as  
16 far as I know there's no permitting once so ever as  
17 long as they're less than 500 feet. Again they can  
18 go greater than 500 feet but nobody's ever done it.  
19 Discourse considerations. But if you do go greater  
20 than 500 feet you have to get it... what's called a...  
21 a state mining permit. Again that's through DEC.  
22 That's anytime you go below 500 feet. Same thing  
23 with standing column wells which generally go down  
24 to anywhere between 13 hundred and 2,000 feet

2 you're required the same permit. It's not a big  
3 deal. It's just another piece of paperwork.

4 CHAIRPERSON CONSTANTINIDES: Is there  
5 anything that we do here in the city that's  
6 additional permitting or it's just only for the DEC  
7 that...

8 ANTHONY FIORI: It's... there are some  
9 other... For example, open loop systems, again those  
10 are the ones you find in... in Brooklyn and Queens,  
11 because you are extracting water and injecting it  
12 back into the same aquifer it's under the EPA  
13 regulations. It's called the UIC program, the  
14 underground injection control. Basically they  
15 delegate their authority to the state. But there is  
16 some paperwork involved. They just want to know you  
17 know what we're doing, you know the amount that  
18 we're pumping. And they delegate their authority to  
19 the state. So the permitting comes from the state.  
20 But initial we do have to notify EPA.

21 ALEX POSNER: I would... I would add that  
22 the Department of Environmental Protection is  
23 working on changes to the building code to require  
24 permitting for... for drilling for geothermal and...  
25 and other drilling purposes between 50... greater

2 than 50 feet in depth in order to protect the water  
3 and sewer system.

4 CHAIRPERSON CONSTANTINIDES: Okay. Now  
5 do you think there'll be fees associated with those  
6 permits or...

7 ANTHONY FIORI: I'm... I'm sorry I didn't  
8 hear you.

9 CHAIRPERSON CONSTANTINIDES: Do you  
10 think there'll be fees that'll be associated with  
11 those permits or...

12 ANTHONY FIORI: I do not know that  
13 there'll be any fees associated with that.

14 CHAIRPERSON CONSTANTINIDES: Okay.  
15 Because it sounds like to me... there's any... one  
16 potential hurdle to geothermal is the upfront cost  
17 associated with the installing them. What can the  
18 city do to reduce the upfront costs or sort of help  
19 educate people on what programs they can get that  
20 can help offset that over time.

21 ALEX POSNER: For... for public buildings  
22 the Department of Citywide Administrative Services  
23 administers capital grant program called ACE. So  
24 there are some funding through that program that  
25 may be applied to public installations of... of

2 geothermal where the city pays the energy bills. At  
3 this present time, I don't know of any grant  
4 programs either state or federal that are available  
5 for private. The New York state energy research and  
6 development authority at one time had a program  
7 opportunity notice for geothermal systems. I'm not  
8 aware that that is open for funding at this time.

9 CHAIRPERSON CONSTANTINIDES: Alright.  
10 I'm going to turn this very quickly over to my  
11 colleague Donovan Richards and then I'll... I'll come  
12 back for a few more questions.

13 COUNCIL MEMBER RICHARDS: So good  
14 morning. First I want to thank the administration  
15 and thank our chairman for moving geothermal into  
16 the city's conversation. So I just wanted to go  
17 through in particular costs. So I think in your  
18 testimony you were speaking it would take a lot of  
19 resources and money to obviously look in particular  
20 at... at buildings... city owned buildings across the  
21 city. What sort of resources would the city have to  
22 allocate to ensure that we checked our own  
23 catalogue of buildings? What do you anticipate  
24 there?

2 ALEX POSNER: Yeah so what... what we're  
3 proposing is... is that we develop a screening tool  
4 that can be applied to each of our... our own  
5 buildings and as well be accessible to the private  
6 sector to... to use to assess the feasibility. That  
7 combined with DDC's manual provides broad based  
8 guidance on the... the type of geothermal system and  
9 the feasibility of installing geothermal systems.  
10 Beyond that we'd have to do a detailed engineering  
11 study to understand all the site specific  
12 conditions that would... would make or break a  
13 geothermal system. Since there... there're very site  
14 specific conditions that's not possible to do on a...  
15 on a broad basis. So in engineering... a detailed  
16 engineering study with a cost benefit analysis for  
17 the 4,000 plus public buildings would be extremely  
18 expensive. It would require not only internal but  
19 also consulting resources.

20 COUNCIL MEMBER RICHARDS: And how much  
21 do you anticipate this would cost?

22 ALEX POSNER: I have not calculated  
23 those dollar figures.

24 COUNCIL MEMBER RICHARDS: So how do we  
25 know it would be too expensive.



2 ALEX POSNER: Well I can... I can tell you  
3 from typical engineering studies that depending on  
4 the size of the building an engineering study could  
5 be upwards of a million dollars.

6 COUNCIL MEMBER RICHARDS: For one  
7 building?

8 ALEX POSNER: For one building depending  
9 on the size of that building.

10 COUNCIL MEMBER RICHARDS: So why don't  
11 we... So is there a possibility of... of... let's not... We  
12 have 4,000 buildings, we know that. Is there  
13 particular areas that we can look in? Can we limit  
14 the scope of the particular buildings that we would  
15 look at and... you know and obviously you know we  
16 want geothermal to work and we know we have 4,000  
17 buildings but are there particular areas or  
18 particular buildings in parts of the city that you  
19 can just focus on outside of just focusing on the  
20 big number 4,000? So are you open... what I'm saying  
21 is are you open to a pilot and possibly looking at  
22 buildings you know that you would think would fit  
23 the scope in particular areas for geothermal usage?

24 ALEX POSNER: So I think what we think  
25 makes the most sense is to... to structure this in an

2 iterative fashion so that we can develop this  
3 screening tool that can be applied to all of our  
4 buildings when... [cross-talk]

5 COUNCIL MEMBER RICHARDS: So all new...  
6 new construction you're saying?

7 ALEX POSNER: Both new construction and...

8 COUNCIL MEMBER RICHARDS: Okay.

9 ALEX POSNER: ...and buildings that are  
10 going to retrofit their heating and cooling  
11 systems.

12 COUNCIL MEMBER RICHARDS: Okay.

13 ALEX POSNER: We would apply that  
14 screening tool at the time of... of that retrofit or  
15 the planning of the new building being that the  
16 project passes that screening tool we would then  
17 recommend that it be required to do a detailed  
18 engineering benefits analysis for that building or  
19 new project that also incorporates the social cost  
20 of carbon so that we can then begin quantifying the  
21 environmental benefits associated with the  
22 geothermal system and put it on somewhat of a level  
23 playing field with other types of traditional  
24 systems.

2 COUNCIL MEMBER RICHARDS: Yeah I think  
3 that makes sense. Just last question. So NYSERDA  
4 obviously has money. And have you looked to work  
5 with NYSERDA in particular to tap into their  
6 resources? Are you doing anything in particular  
7 around geothermal? Are you familiar in Nassau or  
8 Suffolk County possibly or... or with your  
9 relationship with NYSERDA and do you see a partner  
10 in NYSERDA in moving this forward as well?

11 ALEX POSNER: Yeah. So in... as I  
12 mentioned in the past NYSERDA had... had program  
13 opportunity notices for funding for geothermal  
14 systems. NYSERDA currently is going through a  
15 reformulation of how they operate. And they're  
16 getting out of the business of providing grants for  
17 projects... specific projects and rather providing  
18 funny... money to understand the market barriers to  
19 different energy efficiency and renewable  
20 solutions. That's coupled with the state's clean  
21 energy fund which is being developed at this time  
22 and the reforming energy vision which is the  
23 state's own program to change how energy is  
24 generated, distributed, and... and charged for. We do  
25 believe there's opportunities to work with NYSERDA

2 for funding for programs that look at what the  
3 market barriers such as the high upfront cost that...  
4 that you've mentioned earlier before and... and look  
5 at opportunities to reduce those... those barriers.

6 COUNCIL MEMBER RICHARDS: Alright. Thank  
7 you so much. And congratulations Chairman on a  
8 great job and look forward to obviously seeing the  
9 final draft of this bill when we pass it.  
10 Congratulations.

11 CHAIRPERSON CONSTANTINIDES: Thank you.  
12 Thank you Councilman Richards. I appreciate it...  
13 other questions. Thank you. And the screening tool  
14 that you've talked about is it something that can  
15 also be utilized by the private sector correct? Did  
16 you perceive that they can use this as a... a way  
17 that for understanding how to utilize geothermal on  
18 communities?

19 ALEX POSNER: Yes. We do foresee that as  
20 being an opportunity for the private sector to use.

21 CHAIRPERSON CONSTANTINIDES: Okay. I  
22 mean we... I think we agree on the overall goals. I  
23 mean we... getting to 80 by 50 is a shared priority.  
24 One that is going to... we have to incorporate

2 buildings... geothermal... you foresee geothermal being  
3 a... a part of that?

4 ALEX POSNER: Yeah we... we believe  
5 geothermal's an important tool in... in the toolbox  
6 to get us to our 80 by 50 goals. And... and we think  
7 that there's a great path forward to... to promoting  
8 the installation of... of geothermal systems.

9 CHAIRPERSON CONSTANTINIDES: Yeah.  
10 Councilman Lancman you have any questions? Alright  
11 now well I definitely look forward to working with  
12 you to implement some of these suggestions and... and  
13 getting this bill moved as quickly as possible so  
14 we can help our city move that forward.

15 ALEX POSNER: Thank you chairman. Thank  
16 you.

17 CHAIRPERSON CONSTANTINIDES: Okay great.  
18 So I have Doctor Fredrick Stum from the US  
19 Geological Survey, Bob Wyman representing himself,  
20 okay, and then... Olsen... all experts in the  
21 geothermal field. If you'd please take your seats  
22 and our Committee Attorney Samara Swanson will  
23 swear you in.

24 COMMITTEE CLERK SWANSON: Can you please  
25 raise your right hands. Do you swear affirm to tell

2 the truth, the whole truth, and nothing but the  
3 truth today?

4 FREDERICK STUMM: I do.

5 COMMITTEE CLERK SWANSON: Thank you.

6 CHAIRPERSON CONSTANTINIDES: Alright so  
7 USGS... So Doctor Stum if you'd... you begin please?

8 FREDERICK STUMM: Sure. My name is  
9 Fredrick Stum. I'm a research hydrologist with the  
10 United States Geological Survey from the New York  
11 Water Science Center in Corum... Decorum Office on  
12 Long Island. I wish to thank the Committee on  
13 Environmental Protection for inviting the USGS to  
14 present some of our work relating to geothermal  
15 energy. I've been applying advance borehole and  
16 surface geophysical methods to environmental and  
17 engineering problems throughout New York City for  
18 almost 20 years. I published over 20 scientific  
19 publications relating to groundwater, hydrogeology  
20 and geophysical methods. The USGS in cooperation  
21 with the New York City Department of Environmental  
22 Protection has been collecting and analyzing New  
23 York City's hydrogeologic framework data sets using  
24 over 50 test boreholes that were drilled for the  
25 third city water tunnel. That began in 1998. Since

2 2014 the USGS has been working in cooperation with  
3 the New York City Department of Design and  
4 Construction. We've been collecting, tabulating,  
5 and mapping the bedrock elevation and thickness of  
6 sediments in the five boroughs to produce the first  
7 comprehensive map at high resolution for  
8 application for geothermal using a geographic  
9 information system and other... other type of  
10 technologies. Today I'm going to provide the  
11 committee with a brief overview of some of the  
12 research and how that research can be applying to  
13 specifically to geothermal and other groundwater  
14 applications. Just to give a very quick background..  
15 the geology in Manhattan, specifically the bedrock,  
16 is quite complicated. It represents a billion years  
17 of history so basically we have high grade  
18 metamorphic rock that was produced under high  
19 pressure and temperatures. It consists of a  
20 sequence of niche and schists with isolated areas  
21 of marble. In Staten Island the western most part  
22 is underlain by sandstones and shales. These rocks  
23 were formed during the assembly and breakup of  
24 continents. So due that... to that process a number  
25 of faults and factures in the bedrock actually

2 create pathways for groundwater. The bedrock is  
3 fractures and faulted in several areas such as the  
4 125<sup>th</sup> street fault which I'll show you as we... as we  
5 move on and across cuts Manhattan. During the  
6 cretaceous period sediments were deposited along  
7 the coastal plain. They included sands and clays  
8 which are underlying still to this day Queens,  
9 Brooklyn, and Staten Island. During the ice age  
10 Palestine time we had glaciers that had advanced.  
11 They covered much of New York City and the eroded  
12 and carved valleys into the bedrock creating some  
13 of the complicated layers that we're talking about.  
14 It also cut through some of the cretaceous deposits  
15 and they deposited their own sands, gravels, and  
16 clay deposits. So we have quite a complicated  
17 history which is now our job to unravel and try to  
18 apply that for... for geothermal. The USGS in  
19 cooperation with the New York City Department of  
20 Design and Construction compiled 80 years of test  
21 boring data that goes back to the WPA times and  
22 the... in the 1930s. We had a number of programs  
23 where test borings were drilled almost on every  
24 city block in New York City. And the depth of  
25 bedrock and some of the geology was collected,



2 carefully categorized and... and put down on paper  
3 and stored. A lot of this data also was augmented  
4 over the years and decades by the New York City  
5 subsurface exploration group which was a legend  
6 when I was studying geology as an undergraduate as  
7 far as the data set that was available. And all of  
8 this... this has been compiled with other agencies  
9 like the Army Corp of engineers. We've worked with  
10 the transit authority. We've reached out to most  
11 agencies. The USGS assisted the New York City DEP  
12 and the water tunnel project. And over 50 borehole  
13 data set was also included. We also did seismic  
14 reflection in the East River and collected  
15 bathymetry data and... and the Army Corp also has  
16 collected a lot. So all of this was put together.  
17 It indicates a total of 14,000 data points. So  
18 it's... it's again pretty ambitious but using  
19 technology which is now available to us we can much  
20 more rapidly integrate that into a GIS which can be  
21 served up to the public specifically to the city  
22 and also to other agencies and contour that data  
23 and produce the... the... the bedrock maps you see  
24 there. It's a preliminary version we are in the  
25 process of getting it approved. And then it'll be

2 put online and available between our agency and  
3 also at the DDC as well... at the website. The depth  
4 of bedrock is kind of a critical piece of  
5 information as... as Alex Posner outlined earlier as  
6 far as determining feasibility for geothermal.  
7 Overall the elevation shown in this map of the  
8 bedrock surface is quite variable in New York City.  
9 It ranges from over 300 feet above sea level.  
10 Specifically, that would be in Staten Island and...  
11 and northern parts of Manhattan. And it extends  
12 over 1,000 feet below sea level when we're dealing  
13 with in the Coney Island area and you know parts of  
14 Brooklyn and Queens. So you've got quite a range.  
15 This is just a close up. We made specific maps for  
16 each borough. And the idea is that high enough  
17 resolution you can zoom in... this is not a zoom... as  
18 zoomed in as you can get but the idea is to try to  
19 get almost to within a block by block basis. Again  
20 the elevation is contoured and color coded. In  
21 Manhattan we have over 200 feet above sea level  
22 areas in the northern most part and 300 feet below  
23 sea level on the coastline. Two valleys kind of  
24 are... are indicated. It's hard to see here but again  
25 around the 125<sup>th</sup> Street area there's a... a little

2 yellow kind of a line you can pick out. You don't  
3 have to be a scientist to kind of see some of the  
4 color changes at least. And that's what we wanted  
5 to do to expand that information gap between  
6 scientists, engineers, and then the general public.  
7 And in the southern part of Manhattan you can see  
8 that lighter yellow area. That's that glaciated  
9 valley that was eroded out in... in the bedrock. What  
10 we did next we took that great data set. We were  
11 really... really happy with some of that result and..  
12 and the resolution was high enough that what we did  
13 digitally was to create a depth of bedrock. We felt  
14 that that would be even easier comprehensive  
15 information type of thing. For the depth of bedrock  
16 or what we would call like a sediment thickness  
17 map, so it depends on how you want to look at it  
18 and how you want to utilize it. It's really the  
19 first of its kind ever made for the five boroughs  
20 at this type of resolution. We use the elevation of  
21 the bedrock shown before and digitally subtracted  
22 again using the GIS technology of a high resolution  
23 map of the land surface which is now available  
24 which we didn't have before. So we also included  
25 the surround bathometry in the east... East River,

2 the Hudson River, and New York Harbor. So the  
3 resulting depth of bedrock map or sediment  
4 thickness again is a very useful tool to re-  
5 determine the amount of sediment overlying the  
6 bedrock anywhere in New York City. This will laid  
7 obviously in specific selections of locations.

8 [background, off-mic comments]

9 FREDERICK STUMM: Right. Exactly. So  
10 what we wanted to do... not every... [cross-talk]

11 [background, off-mic comments]

12 FREDERICK STUMM: Higher.

13 [background, off-mic comments]

14 FREDERICK STUMM: Right. It's closer to  
15 the surface...

16 [background, off mic comments]

17 FREDERICK STUMM: Right it's... it's  
18 really... it... it's color coded for how thick... how  
19 thick or how deep it would be to get to bedrock. We  
20 can look... so that's... we wanted to... to try to make  
21 that... Because it was... there's different ways...  
22 people think in different ways and they want to  
23 apply things in different... in... for different  
24 applications. So the data was available. We decided  
25 to go with that and it ended up being a really good

2 exercise because it's a better way of viewing some  
3 of the information than just having a contour line.  
4 And let's see my next... there it is. And that's  
5 Manhattan again. You can see in the upper part... in  
6 the northern part of Manhattan that... again that  
7 yellow kind of line that kind of diagonally cuts  
8 across Manhattan that is the 125<sup>th</sup> Street fault.  
9 And another area to the south is that deeper  
10 glaciated valley. And basically the... the materials...  
11 the... the questions that we're trying to ask now is  
12 now that we've got a map of the materials what are  
13 they made up of. So some of the questions that  
14 we're looking to answer next in our phase two would  
15 be applied... What... what is the hydraulic or  
16 groundwater properties of the sediment and the  
17 bedrock itself. Such properties would be the  
18 sediment type, the sand, silt, or clay, to  
19 determine where the aquifers are and how  
20 interconnected they may be. It's also important to  
21 know how... how well they transmit groundwater, their  
22 transmissivity is another feature. And where salt  
23 water would be located because that would have an  
24 impact... you may have a... a shallow depth of water  
25 and maybe plenty of... of sand aquifer. But if

2 there's saltwater it's not something you want to  
3 find out about later on in the process. And again  
4 using it as a screening tool. If we take a look at  
5 8-8 prime I just want to show you what it... this is  
6 a 1953 USGS publication that was sort of the  
7 standard technology making some cross sections and  
8 contours but just represents southern Manhattan  
9 and... and the contact of bedrock and how variable it  
10 really is in cross section. A number of new wells  
11 have been drilled by the USGS and... and as... with  
12 some of our other partners this is a... a cross  
13 section of the southern part of Kings and Queens  
14 County. These were borings that were drilled to  
15 bedrock. So we'll take a look at the... at the  
16 sediment. And basically bore hole geophysical logs  
17 were... were lowered in these bore holes and  
18 information on the geology and the water quality  
19 were... were collected. Again this is the first time  
20 we've ever had a cross section of this extent. To  
21 the left is... would be Kings County, Brooklyn. And  
22 to the right would be in... in Nassau County. And the  
23 main thing to take away from this is... there's a  
24 number of different colored lines to a scientist or  
25 an engineer that might... it might mean something but

2 those are gamma logs. The earth naturally gives off  
3 gamma radiation in... it's concentrated in the clay  
4 units and it's minimal in the sand. So it's a great  
5 tool for mapping the aquifers. And basically we  
6 also lower another tool... those red lines are  
7 actually conductivity logs. So salt water is much  
8 more conductive than fresh water and we're able to  
9 map the salt water intrusion due to pumping from  
10 the last century in Kings and Queens County we have  
11 intrusion in the Magothy aquifer which is one of  
12 those deposits. We have clay deposit below that,  
13 the Reardon clay. And then the loid below that. And  
14 basically it's another tool when you integrate that  
15 to... to map... to map some of the extent of... of the...  
16 of these wedges of intrusion. The other thing to  
17 keep in mind with geothermal is you may be an area  
18 that's currently... it might be near an interface to  
19 know that. That's why we want to map it. Because if  
20 you are withdrawing water you could create... you  
21 could pull in potentially salt water. So while the  
22 well system was installed at one point it was fresh  
23 water these wedges can migrate landward if we... if  
24 we over pump certain aquifers. This is... this is  
25 some research that we're... we're currently

2 publishing. This is the... from what we understand is  
3 one of the first water table elevation maps of the  
4 glacial deposits overlying bedrock in southern  
5 Manhattan. These were a number of wells that were  
6 drilled by the New York City DEP during the water  
7 tunnel project. And we were able to determine the...  
8 the flow of ground water. And in general you can  
9 see it's sort of... in this part of... of Manhattan  
10 it's south of 30<sup>th</sup> Street. And basically there's  
11 recharge in the center and... and it extends to the  
12 south and to the coast line. The next figure is... is  
13 basically when we did aquifer pump tests on these  
14 wells we were able to determine chloric  
15 concentration. And chloric concentration is really  
16 the... the primary ion that's involved in sea water  
17 so it's a great quick indicator for salt water. And  
18 what we have is from the previous century there was  
19 a number of... of pumping that was enough significant  
20 pumping in southern Manhattan utilizing the aquifer  
21 that was there. And it intruded... it caused the salt  
22 water intrusion to take place. So we have almost  
23 pure sea water in some of the parts of the aquifer  
24 in Southern Manhattan. So we have to keep aware of  
25 that. And... and basically what we're looking to do



2 is to compile the same kind of data set in the  
3 other boroughs. The last figure is we call  
4 transmissivity of the glacial aquifer. And really  
5 what that means to... to the general public is how  
6 well does it transmit water. And it's just  
7 basically a number that represents that. So the  
8 higher values would be sediment that would not  
9 transmit water very efficiently. And the higher  
10 numbers would be very very efficient and... and able  
11 to produce large amounts of ground water. So again  
12 that's another piece of... of information that... that  
13 we're looking to map in some of the boroughs. Just  
14 to cover borehole geophysical logging that's a  
15 whole nother [phonetic] course you could take on  
16 that. But in general all that it really involves is  
17 drilling a bore hole and sending a probe that can  
18 measure specific perimeter down that bore hole and  
19 we can collect that information. So once you  
20 compile different probes you can get a lot of  
21 information in one location on what to expect in  
22 the ground water. This is an optical televiewer  
23 scan of a bore hole in Manhattan. This is what a  
24 fracture would look like. So earlier it was  
25 unwrapped. We were able to... it's basically a video

2 that scans using a magnetometer the borehole wall.  
3 And that's actually what a fracture looks like that  
4 transmits water in Manhattan. It's about 360 feet  
5 below the surface. And we were able to rotate it in  
6 case you don't have core in the city.. obviously for  
7 engineering applications was interested in that for  
8 the DEP work. But it's just a representation of  
9 what can be done depending on a location to  
10 maximize the development of groundwater. And that's  
11 what was utilized to... to build up some of this data  
12 set we're talking about. The resolution with this  
13 tool is about one millimeter in the vertical. And  
14 just to cover quickly. In the center of this figure  
15 is... use sonar or acoustic as well and then you can  
16 unwrap that. In the middle is north and to the side  
17 is south and the... the... the red indicates a... a long  
18 two-way travel time which is a fracture. And the  
19 blue represents contact with solid bedrock. So once  
20 you start talking about fractured rock you have to  
21 kind of do more... more background information  
22 because each fracture is an aquifer of its own. And  
23 to the right is an optical televiewer scan of the  
24 same exact section. So that takes a high resolution  
25 video and obviously you can get a lot more data out

2 of it. So what does that get us? As far as a city  
3 tunnel number three project we were able to  
4 delineate the layering of the bedrock, what the  
5 geologists call the foliation but it's the layers  
6 of the bedrock especially for the tunnel boring  
7 machine. We were able to determine the 3D fracture  
8 patterns in the bedrock itself because there are  
9 patterns based on the stress that the rock went  
10 under. And we can also quantify the total bedrock  
11 or individual fracture transmissivity. How... how  
12 transmissive is the bedrock in parts of Manhattan.  
13 That was important when you're building a tunnel  
14 600 feet below the surface but it's equally  
15 important if you're going to be planning a major  
16 geothermal project on a city project that building  
17 that you were talking about. And again these..  
18 these... these data sets, I'm just going to show you  
19 a few quick results of it. That was not that quick.  
20 This is just one bore hole I'm going to show you.  
21 This was the tunnel alignment that we had done some  
22 of the work. But in general believe it or not  
23 there's information in that. It looks like a lot of  
24 squiggly lines that's maybe to the general public  
25 but there's a lot of information on this figure.

2 The main thing to take away here... if you look at  
3 the dots that are plotted... we're actually able to  
4 map the depth of each fracture, how big the  
5 fracture is and what angle it's... it's tilting  
6 toward north, east, or south. And the yellow  
7 indicates fractures that are tiny micro-small  
8 fractures. The green dots are medium fractures, and  
9 the blue are large fractures. So the two arrows are  
10 indicating the zones where the large and medium  
11 fractures were producing ground water in this  
12 particular well. This is a 600-foot-deep bore hole.  
13 Okay going back to geothermal we need to know the  
14 groundwater properties of the bedrock. These are  
15 probes that actually measure the temperature.  
16 That's a major parameter for determining the  
17 efficiency of a system and... and... and what the  
18 ground water may be doing in an area. And basically  
19 those two red arrows are indicating the zones that  
20 were producing ground water in this location. So  
21 I'm going to go into it a little bit longer but if  
22 you notice the... the temperature curve in the middle  
23 of the... of this plot it's flat. There is no...  
24 everyone thinks of a geothermal gradient whereas  
25 you go deeper the temperature increases. But

2 because of groundwater it actually can reverse or...  
3 or cause a flat lining effect. But if you notice as  
4 we get near the bottom of the borehole at about 500  
5 feet the temperature starts to increase with depth.  
6 And that's where the geothermal effect that we see  
7 in New York City really starts to take... take over.  
8 I'm not going to go into this too much but really  
9 what this... what you're looking at is a result of  
10 five years' worth of... of work and analysis for the  
11 DEP. These are all transmissive fractures in  
12 Manhattan. And... and because we were able to  
13 determine which fractures transmissive that  
14 bullseye is really almost subhorizontal fractures.  
15 So you actually have fractures in Manhattan that  
16 produce water. They're subhorizontal. And then  
17 there's a cross cutting one... if you look to the  
18 right... I guess the lower right corner there's  
19 another small bullseye. Those represent northwest  
20 dipping fractures at a higher angle. And that in a  
21 nutshell is the groundwater flow system from  
22 Manhattan. So what can you do with some of that  
23 information with the bedrock itself. This is a  
24 potential metric surface of ground water. You can  
25 think of it as a water table map for the bedrock.

2 We have recharged in the central park area. And  
3 then discharge again to the south and then out to  
4 the coastline. If we look at chloric  
5 concentrations... sorry... if you look at chloric  
6 concentrations in the bedrock you can see Southern  
7 Manhattan is pretty much intruded by saltwater. And  
8 the fresher water would be more on the center part  
9 of... of the island. We'd also did aquifer testing on  
10 the bedrock. And what you're looking at is the  
11 actual... the ability of the... of the bedrock in  
12 Manhattan to transmit ground water. In general,  
13 most of the bedrock was moderately transmissive.  
14 But if you notice there's a couple of those contour  
15 lines... they are much higher values as far as  
16 transmissivity. And that was associated with faults  
17 and fractures... associated with those faults. So  
18 it's a very site specific type of thing as far as  
19 how ground water's transmitted. And I'm just going  
20 to show you quick example. This is one of the  
21 deepest geothermal wells that we were involved in  
22 at the theological seminary. And just the main  
23 takeaway from this is its 15 hundred feet to the  
24 bottom of the borehole. If you look at the  
25 temperature curve it's the... it's the... I guess it's

2 the third... it's the third or fourth log here. It's  
3 kind of in red and... and blue. It's to the left of  
4 the blue line. That's the temperature curve. And if  
5 you look in the upper part above where we have  
6 overburden versus the bedrock if you notice the  
7 temperature actually increases and then it  
8 decreases. We found that phenomenon in most of our  
9 bore holes in Manhattan. And that really represents  
10 the decades of heating our basements and subways.  
11 And we've actually charged the bedrock with all of  
12 that heat energy. So we're talking about  
13 geothermal. We've actually created that over the  
14 decades and decades of... of us just living in  
15 Manhattan. And then well if you notice as you go  
16 further down in the depth the temperature actually  
17 decreases. And that's due to again the ground water  
18 effect I was talking about. There is flow between  
19 the fractures. And then once we go below about five  
20 six hundred feet you start to see the temperature  
21 increase with depth. And that's the normal  
22 geothermal grading that we've been talking about.  
23 One last thing if you notice it's another major  
24 issue with these deep bore holes. They're very  
25 difficult to keep vertical. And property rights

2 issues is another problem where we don't want your  
3 geothermal well to maybe end up in your neighbor's...  
4 under your neighbor's property. And that's almost  
5 what happened in this instance. If you look with  
6 these tools since they have magnetometers and tilt  
7 meters we can actually calculate where the bore  
8 hole is. And that's one of the major issues the DEP  
9 had with this site. It was very close to the water  
10 tunnel and they wanted to make sure they knew where  
11 and document where this bore hole was going. So we  
12 did some of this work. And if you look at those  
13 lines the... the red squiggly line is actually the...  
14 the... the compass direction. That indicates the bore  
15 hole was going to the northeast. And the... the blue  
16 line... on the right most blue line is actually the...  
17 the tilt or the angle and it... and it... at... near the  
18 bottom of the bore hole was as much as six degrees  
19 away from vertical. When you put that into a  
20 program and look at it from plan view... like  
21 basically you're standing in the middle of the  
22 bullseye is where you start drilling. To the upper  
23 right is where the bore hole ended up. And... and  
24 that is called deviation. In this particular  
25 instance most of our bore holes from our research



1 indicates the... the layering of the bedrock will  
2 predict the direction that your bore hole will go  
3 into. There's always those up dip. So if you're... if  
4 you're bedrock is layered and tilting toward the  
5 south when you drill into it your bore hole will go  
6 up to the north. So it's kind of a... Anyway so this  
7 bore hole ending up 35 feet away from the starting  
8 point in the northeast direction. So again the  
9 DEP's very interested in documenting... and I know  
10 that's another issue that some of these deep  
11 borings need to... we need to know where they are.  
12 Not only where they've been drilled but also the  
13 direction that they may go in for the underground  
14 infrastructure that New York City either has today  
15 or maybe in the future. And one last thing I'm  
16 going to show just we... we help... we... we worked  
17 cooperatively with Cornell University at a  
18 geothermal test site at Roosevelt Island. And the  
19 main take away from this figure is that we... we  
20 found a large fracture over 300 feet below the  
21 surface that was dipping to the southwest. And it  
22 actually undercut... it was underlying the entire  
23 well field and it was a high transmissive system.  
24 And in case someone's interested and looking at  
25

2 what exactly does a fracture look like in 2D we  
3 actually used radar and were able to produce a cat  
4 scan of the bedrock. So what you're looking at is  
5 really a picture, a cross section of the bedrock  
6 that's never been seen before in New York City  
7 unless you did an excavation. You can see the  
8 fractures are subhorizontal. Those little light  
9 blue lines indicate a slightly slower speeds for  
10 the radar. And the redish line that you see is the  
11 dipping large fracture between the bore holes.  
12 These bore holes were 70 feet apart. So just to  
13 summarize... The... New York City's overburden is  
14 comprised the unconsolidated rock of sand, silt,  
15 clay deposits. It ranges from less than... to zero...  
16 to over a thousand feet in thickness. You have salt  
17 water intrusion which can cause corrosion issues  
18 with certain systems. It's been documented and... and  
19 is... is being mapped currently for Kings, Queens,  
20 and in Manhattan. The USGS has used advanced  
21 geophysical tools to delineate the overburden in  
22 fracture rock flow system. Manhattan's bedrock has  
23 its own groundwater flow system and it's dominated  
24 again like I said the subhorizontal and northwest  
25 fractures. The transmissivity is highly variable in

2 the bedrock. We have two orders of magnitude with  
3 that transmissivity. And that's something to keep  
4 in mind depending on the design of the system. And  
5 again the USGS and the New York City DEC are  
6 working cooperatively together and we are planning  
7 to delineate and map the geothermal properties for  
8 the rest of New York City and... and the bedrock in  
9 overburden. So really to... in order to promote the  
10 use of geothermal energy in an area with complex  
11 geology and highly variable thickness of bedrock  
12 overburden detailed hydrogeologic information is  
13 really required. Through our cooperative program  
14 with the New York City DDC the USGS has begun that  
15 process of producing that data and the maps require  
16 for proper application of geothermal in New York  
17 City. And I would like to thank the committee for  
18 allowing me this opportunity to present some of  
19 this research and I welcome any questions you have.  
20 Thank you.

21 CHAIRPERSON CONSTANTINIDES: Thank you.  
22 I want to make sure I recognize from Queens my  
23 colleague Council Member Ulrich. Thank you for  
24 being here. Hi. Mr. Wyman.

2 BOB WYMAN: Hi, my name is Bob Wyman. I  
3 live in the city. I'd like to thank the... the... the  
4 committee, the chair, the members, and also the  
5 sponsors of this bill for... for action... for looking  
6 at this issue again of... of geothermal heating and  
7 cooling and... and heat pumps in general in... in the  
8 city. It's this... it's the willingness of I think  
9 our political leaders and our... and our... and our  
10 government to look at this issue which is one of  
11 the reasons why living in New York City is... is... is  
12 such a... such a great... great thing to do. If you  
13 look at the rest of the country when they think  
14 about energy issues or environmental issues  
15 etcetera, it seems that everybody is totally  
16 focused on issues of electrical production and  
17 perhaps on transportation issues. But the reality  
18 is that we know here in New York City... as we do in  
19 New York State in General that thermal energy... the  
20 thermal energy requirements of... of heating and  
21 cooling our buildings are some of the largest...  
22 represents of the largest demand for energy in our  
23 state. We know for instance in the state if you... if  
24 you're concerned with carbon emissions only 18 to  
25 23 percent of all of our carbon emissions come from

2 electrical production. On the other hand, according  
3 to NYSERDA and to the PSC about 30 percent of our  
4 carbon emissions are the result of burning fossil  
5 fuels for heat in this... in this state.  
6 Transportation certainly is larger than... that  
7 produces more emissions. It's about 40 percent for  
8 the state. But still what that tells us is that in...  
9 in our state and certainly in our city electrical  
10 production as a... as an environmental as an energy  
11 issue turns out to be a third level issue while  
12 transportation and heating and cooling of our  
13 buildings are the primary causes of... of... of energy  
14 demand in our city and our state. Of course the  
15 thermal demand in the city is much larger  
16 proportionally than the thermal demand for the  
17 state. Okay. I think a lot of people don't  
18 recognize that and I think that means that... but...  
19 but I think hopefully this committee does and I  
20 hope it means that the committee will recognize  
21 that we probably need different policies here in  
22 New York State then... then other places. The fact  
23 that other places are not so worried about the  
24 issues of heating and cooling should not compel us  
25 to simply follow the trend. We need to worry about

2 the issues that impact us. I'd also like to set  
3 some context if I could in... in saying why I think  
4 it is so important that we move forward on this  
5 bill and pass it and get the work done. And that is  
6 that if we look forward into the future... I mean  
7 we've been told today by the administration that  
8 it's impossible to convert the city from fossil  
9 fuels to... to... to ground source heat pumps. But I  
10 think actually if we look forward we have to ask  
11 the question in 2050 what will be the dominant form  
12 for heating and cooling in this city? Maybe not in  
13 2050 2060 2070 go as far out as you like. What will  
14 be the dominant form of heating and cooling in this  
15 city. And I think the answer is it will not be  
16 fossil fuels. It doesn't matter if you're excited  
17 about climate change, pollution, or whatever today  
18 we do know some things that are very important to  
19 know. And that is that the price of fossil fuels  
20 will inevitably increase over time. The volatility  
21 of that... of those prices will increase. And we know  
22 very clearly that our society's willingness to  
23 tolerate the... the externalities... the negative  
24 effects of burning fossil fuels is increasing  
25 every... is... is decreasing every day. We are becoming

2 less and less willing to tolerate the burning of  
3 fossil fuels. There will come a time in New York  
4 City when we like for instance Denmark, the entire  
5 country, has banned the use of fossil fuels for  
6 heating in buildings. In the entire country. That  
7 day will come here in New York. Okay. And we will  
8 see it in New York. We will see that heat pumps  
9 whether they be air source, water source, or ground  
10 source... we will see that heat pumps will be the  
11 dominant form of heating and cooling in the city.  
12 You don't have to be a visionary to know this. We  
13 know this because physics tell us the most  
14 efficient way to transfer heat from one place to  
15 another is in fact with a heat pump. Any kid that  
16 goes through high school physics learns that. The  
17 carbocyclic etcetera. The very tech... the very  
18 method that we use to... to evaluate even the... the  
19 engines and turbines that might be used for... for  
20 bringing fossil fuels these are essentially heat  
21 pumps. So what we think... what we need to do I think  
22 in this city and... and I think it's the  
23 responsibility of our government is to look for, to  
24 recognize, that it isn't just that the heat pump  
25 systems are... you know have some advantages today.

2 They may be better or... or... or worse than some other  
3 system but we have to recognize that we have a  
4 multi-decade process that we will go through  
5 hopefully with the leadership of our... of our... of  
6 our governmental system to do this. But we will go  
7 through a multi-general... multi-decade process here  
8 of converting from fossil fuels to heat pumps. Now  
9 some people will come back and say why are you so  
10 confident its heat pumps and it's a very simple  
11 answer. First as I said before they are the most  
12 efficient way of heating and cooling so one would  
13 expect that eventually the best system will win.  
14 But the other thing frankly is that there are no  
15 known alternatives. If you ask anyone how can we  
16 heat and cool our buildings or I say how can we  
17 heat them. You can burn stuff... we're eventually  
18 going to stop doing that. You can use electric  
19 resistance heating. The reality is that it's  
20 horribly inefficient, terribly inefficient to  
21 simply you know have used base board and things and  
22 pair them via electricity. We have enough problem  
23 producing electricity now to... to... to power the  
24 systems we've got. The only other alternative is in  
25 fact some form of heat pump. It may be an air



2 source heat pump, a water source, or a ground  
3 source but it's going to be a heat pump system. And  
4 I think it's time that we recognize that the future  
5 of our city is in fact with heat pumps. It may be  
6 that there parts of the city like Manhattan where  
7 ground source heat pumps are particularly difficult  
8 to install because of the bedrock, because of the  
9 need for standing column wells etcetera. But we do  
10 know that there are areas of the city like the...  
11 like Brooklyn and Queens where heat pumps... where  
12 ground source heat pumps are much... much easier to...  
13 to... to install because of the ground conditions. We  
14 also know for instance that the conditions in those  
15 cities and in those parts of the city like in  
16 Brooklyn and Queens almost demand that we do this.  
17 Right now Brooklyn... Queens... we have the Brooklyn  
18 Queen Demand Management Project where ConEd is  
19 talking about paying \$3.65 per watt of avoided  
20 electrical consumption during peak periods during  
21 the summer. \$3.65 per watt, okay. On the other  
22 hand, if we then look at what would be the... the...  
23 the potential. What happens when you put a... a  
24 ground source heat pump into a home in Brooklyn or  
25 Queens. In Brooklyn and Queens if you look at

2 single family homes it's sort of like you know if  
3 we look at what we found on Long Island which is  
4 just a little bit over the boarder we discover that  
5 using ground source heat pumps in Brooklyn Queens  
6 would probably reduce the peak demand by somewhere  
7 between 1.5 and... and two kilowatts. It... at... at peak  
8 conditions. In theory ConEd ought to be willing to  
9 be pay them somewhere on the order of about \$7,000  
10 dollars okay to install a... a ground source heat  
11 pump in Brooklyn or Queens. Because if you can  
12 reduce peak load by 1.5 to 2 kilowatts in those  
13 areas you've accomplished what they need in terms  
14 of reduction of... of peak load commissions. It's  
15 time that we began to look at our city. Okay see  
16 these... see these requirements. Understand that heat  
17 pumps are going to be an important part of our  
18 future and... and start considering not just the  
19 question of can we encourage a few more  
20 installations go from six city buildings that use  
21 heat pumps but rather of the 4,000... How do we get  
22 to a thousand? How do we get to 2,000, 3,000, or  
23 more? And I think what we need to do is something  
24 very similar to what the city has already done  
25 with... with renewable electricity even though they

2 recently said this was renewable energy. But what  
3 the city recently did with renewable electricity is  
4 that we put it on an RFI. They didn't rely simply  
5 on the expertise of people in the city but they  
6 asked the industry how would you go about providing  
7 New York City with renewable electricity on a broad  
8 scale. It's time that we ask industry and... and... and  
9 others to come forward and tell us we have a city  
10 here with 4,000 government buildings. We have a  
11 million buildings in general. How do we take this  
12 city and get it off of fossil fuels and get it onto  
13 the cheaper, cleaner, technology that is afforded  
14 to us by heat pumps? I would strongly suggest that  
15 the bill include a call for an RFI to essentially  
16 go out and... and... and be very aggressively and say  
17 this is not for a one building pilot. This is not  
18 for yet another school, yet another tiny cluster of  
19 buildings. But essentially how are we going to  
20 manage the process of going from almost 100 percent  
21 fossil fuel, heating, today to say 80 percent non-  
22 fossil fuel heating in 2050. How do we get there?  
23 This is a problem that we will have to address. We  
24 can do it better if we have leadership from the  
25 government and we have an ordered process between

2 now and the several decades from now when we know  
3 that we will not be using fossil fuels. We know we  
4 will be using heat pumps. The only question is what  
5 is the path from here to there. Thank you.

6 CHAIRPERSON CONSTANTINIDES: Thank you.  
7 Mr. Olsen.

8 OLSEN: Say again... [cross-talk]  
9 [cross-talk]

10 CHAIRPERSON CONSTANTINIDES: It's okay.  
11 If you want to grab some water... Please go ahead.

12 OLSEN: I passed out some handouts. And  
13 it's the same thing that the... that should show up  
14 there on the screen. So do I have a time limit?  
15 Like everybody wants to have lunch pretty soon or  
16 what's... what's the status for that.

17 CHAIRPERSON CONSTANTINIDES: Feel free  
18 to go ahead.

19 OLSEN: Okay. No specific time limit.  
20 Alright. Well thank you for inviting me to testify.  
21 I... I hope you'll find it useful. I'm a... an  
22 engineering graduate from UCLA. I live in New  
23 Jersey but I do get to New York City quite often. I  
24 have a daughter living here so I'd like to see  
25 things go well for the... for the city. And I pretty

2 much second the ideas you heard from Bob Weiman  
3 just a minute ago. So anyway this first slide shows  
4 the fundamental way in which you might be able to  
5 get heat pumps to work better than they do if you  
6 have only a constant temperature available to you  
7 from underground. Basically the horizontal scale is  
8 called lift but that's really the... just the  
9 difference in temperature between the input and the  
10 output side of a water to water heat pump. So what...  
11 what you can see there is if you have a  
12 differential temperature that's as high as 50  
13 degrees centigrade the... the middle two curves which  
14 you can assume represent a ground source heat pump  
15 system... actually it's the... the second curve from  
16 the top you'll get a... a coefficient of performance  
17 which is essentially efficiency of maybe three. I  
18 would say that's a little optimistic. I would say  
19 more like two. But as you can make that... when you  
20 make that so called lift temperature, differential  
21 temperature smaller you can gain a factor of two or  
22 even three higher efficiency which means that your  
23 electricity use for the same amount of heating or  
24 cooling in the building would be one half or one  
25 third of what it would otherwise be. So moving

2 along here's a... an example of what people call a  
3 hybrid heat pump system. It's a little bit beyond  
4 the standardized approach. And this comes from a  
5 document published in 2011. And it represents a  
6 system hypothesized for an office building in the  
7 North of France. In this case the authors of the  
8 article were assuming only heating was needed but  
9 the idea here is that instead of using only the  
10 ground for your heat pump they are proposing to use  
11 solar thermal collection above ground. And that  
12 would be what... what they call unglazed collectors.  
13 These are the same thing that people commonly use  
14 for heating swimming pools. They're very  
15 inexpensive pieces of... sheets of plastic with  
16 embedded tubing. And it turns out that that  
17 approach give you a very significant advantage if  
18 you have enough area to do it which you might not  
19 have in Manhattan but you might have in the outer...  
20 outer boroughs. So the next slide show is  
21 specifically how much better you can do if you have  
22 that improvement to the heat pump system put in.  
23 What this graph shows is on the left hand side you  
24 have the result with a standard ground source heat  
25 pump. For their hypothetical office building the

2 cost to go the whole system would be 900,000 euros.  
3 As you start adding in the unglazed solar  
4 collectors you reduce the total cost of the system.  
5 And that's shown by the red... the red line at the  
6 top. And if you had as much as 750 to a 1,000  
7 square meters of these solar thermal collectors you  
8 can reduce the capital cost by about 20 percent  
9 which is fairly significant. Now as I mentioned you  
10 do need some area to do this. But it might be  
11 possible in some... in... in office buildings in the  
12 outer boroughs of... of New York City. So these two  
13 groups... I went too far, got to go back. The... if  
14 anybody wants to... to see the details of what those  
15 two slide were these were the two reports both from  
16 2011 that show the simulation results over a 20-  
17 year time period. Here's another example of almost  
18 the same concept. Again it's... would be called a  
19 hybrid heat pump system. And let's just look at the  
20 left hand half of this slide. It shows a cooling  
21 tower and again a... there's a three port valve to  
22 allow water to flow either in series through the  
23 ground heat exchanger and the cooling tower. Or you  
24 can exclude the cooling tower and only use the  
25 ground condition water. Now we know that these

2 systems do provide a significant benefit. However,  
3 I believe that it's possible to have even a greater  
4 benefit if you entertain the idea of having a  
5 difference... a different series connection or  
6 parallel connections or reverse flow for the water  
7 in either of those sections of the system. So that  
8 shows up on the next slide. In this case instead of  
9 having one three port valve there are six valves  
10 and we have now something called a solar/air heat  
11 exchanger. So basically we're... we're saying that  
12 the sun can provide some heat or even the... the... the  
13 outdoor air in some cases. This opens the door to  
14 having both... the equivalent of an air source heat  
15 pump and a ground source heat pump all in one. But  
16 it does require extra valves and temperature  
17 sensors and... computer. So these are ten different  
18 modes of operation that can be accomplished with  
19 that previous design. And in some cases you will  
20 use the... the sun solar thermal collection to  
21 condition the ground temperature if you don't need  
22 any heating or cooling for the building at a given  
23 time. I should also mention the unglazed solar  
24 thermal collectors will collect heat from the sun.  
25 They will also serve to collect cold in the winter



2 with antifreeze. You can basically condition the  
3 ground to be colder than it would otherwise be. So  
4 the idea here is that if you can make... make the  
5 ground either hotter than it would normally be for  
6 use in the winter you garnered advantage because of  
7 having a higher coefficient of performance. Vice  
8 Versa. If you can make the ground cooler, you can  
9 gain a higher efficiency in the summer for a  
10 similar reason. Now what we have considered so far  
11 is only one region underground. And we're... we're  
12 trying to think about ways to make that region not  
13 only a stable temperature but maybe a... a higher  
14 than average temperature or lower than average  
15 temperature when you... you need it. We can think  
16 about now having two separate regions underground  
17 instead of only one and we can condition each of  
18 those underground regions to be either hotter than  
19 average, hotter than the deep earth temperature, or  
20 colder. So we can have one of each. One underground  
21 region which will be hotter than the deep earth  
22 temperature all year long. The other underground  
23 region will be colder than the... the underground  
24 temperature all year long. And these valves allow  
25 the... the optimizing of the flow. The... the series

2 path can... can direct the... the water to always be  
3 optimum. So this is a... kind of a side view of that  
4 previous concept. We have the same four blocks  
5 here. We have the solar/air heat exchanger. We have  
6 two regions underground which we're attempting to  
7 show as kind of a spiral configuration rather than  
8 anything else. But of course those underground  
9 regions could be bore holes as we've heard about  
10 already. They could be standing column wells as  
11 we've also heard about already. So we have the... the  
12 four blocks that were shown previously that is a  
13 heat pump... solar air heat exchanger and two regions  
14 underground. There's a systems controller,  
15 basically a computer, we... we're assuming here that  
16 all of the valves and pumps can be put into that  
17 flow control block above ground. There's also an  
18 electrical generator. Because if you have access to  
19 both hot and cold water you can generate  
20 electricity. So this would be what some people call  
21 a trigeneration system. But notice there are no  
22 fossil fuels involved in this. This could be a  
23 self-contained system. This is somewhat futuristic  
24 but I believe it will be possible and I think we  
25 will see it. Now the spiral underground heat

2 exchanger basically is a less expensive way to do a  
3 heat exchange underground as compared to the other  
4 relatively standard approaches that is less  
5 expensive than bore holes. You're not digging any..  
6 any depth into the ground at all. At this case it  
7 shows two parallel paths going around the spiral.  
8 And the idea is you want to keep the most extreme  
9 temperature always at the center of your storage  
10 region. You don't want to have an extreme  
11 temperature near the edge, near the perimeter  
12 because that would dissipate the heat more quickly  
13 than would need to be done. Although this shows a  
14 circular path you could do almost the same thing  
15 with a rectangular path. So this would be something  
16 that could be fitted underneath a building for new  
17 construction. So you could have the height and  
18 width of this... this spiral path adapted to the  
19 dimensions of a specific building. Now an obvious  
20 question comes along... how big does this have to be  
21 to store on a seasonal basis... that is if you want  
22 to store for six months, store summertime eight  
23 going into the winter or vice versa. And this graph  
24 shows some simulation results in doing that. This  
25 assumes that we have some average numbers for

2 ground thermal conductivity and a perimeter called  
3 diffusivity. And so with these assumptions and with  
4 the assumption that we're going to heat this ground  
5 up for perhaps 60 days. And we're going to then  
6 allow it to cool down for 150 days which brings a...  
7 brings to a... a seasonal effect that is five or six  
8 months of cooling what percentage of the heat  
9 remains in that underground region. And that's what  
10 this graph is attending to show. The dotted line is  
11 essentially correct. It's been verified with other  
12 simulation of its... So you'll see that with a radius  
13 of five meters you're going to lose most of the  
14 heat over this five month or 150-day time period.  
15 So that's too small to be very effective. On the  
16 other hand, if you get up to a size of 15 meters  
17 radius you're able to store roughly 80 percent of  
18 the heat or cold for this 150 day time period. So  
19 that gives you a rough idea about how big it has to  
20 be to make it work as you would expect... as you  
21 would expect to have. I found four examples that  
22 are something like what we were just discussing.  
23 And I... I have them arranged in... in sequence of  
24 size. This is the smallest size. And if you want to  
25 see more detail on this it shows up with the

2 website at the bottom right. But these are for  
3 individual homes or buildings. And this is not  
4 seasonal storage. This would be storage for a much  
5 shorter time period. But there may be a heat pump  
6 involved in this. But in... in some cases they may  
7 not have it. We... we're showing here solar thermal  
8 collectors on the roofs of these buildings. And  
9 these... if you look at that website these solar  
10 thermal collectors are what... are... are called  
11 evacuated tube types which will work in all seasons  
12 of the year as long as the sun is out. Here's  
13 another example which is on a larger scale now,  
14 something more appropriate for New York. To keep it  
15 simple let's just consider the far left example  
16 with the far right example. These are systems being  
17 done currently in the state of Main by a man named  
18 Jeffrey Harrison. And the far left example is a  
19 standard bore hole approach which would be part of  
20 a ground source heat pump system typically. And  
21 what this is... is if you want to have a 54-ton  
22 effective heating or cooling system you're going to  
23 need 18 bore holes that are 500 feet deep... deep.  
24 That's fairly expensive to do but it's... it's not  
25 far from reality for around here. Now if you don't

2 want... if you want to have a more economical way to  
3 provide the same 54 tons you can do it with a  
4 horizontal array of plastic pipe shown on the far  
5 right. This is high density polyethylene type  
6 plastic material. And what the assumption is here  
7 is that for the same 54 tons you're going to need  
8 dimensions of 300 feet by 115 feet. So what are  
9 the... what's the cost of doing this either way? Here  
10 are the cost numbers. The... and these are cost per  
11 ton on the far right. You'll notice that the  
12 standard bore hole approach at the top is \$3,400  
13 per ton. On the other hand, there are two examples  
14 of the horizontal pipe array cost. One of them is  
15 11 hundred dollars per ton. The other one is 16  
16 hundred dollars per ton. I hope that's right. Let  
17 me just double check that. Yeah that's the right  
18 number. As I say these are being put in today so we  
19 know that this is a reality. So it's a less  
20 expensive way to get a... an equivalent effectiveness  
21 from a ground source heat pump. That's the bottom  
22 line from this. But you do need some more  
23 significant area to put... above ground to put that  
24 system in. So moving along here this is what's  
25 being done in London, England. I'm assuming that we

2 want to be aware of what's... what's been done in  
3 other countries to bring the best ideas in for you  
4 here in New York. So the website is clearly shown  
5 there. And you can see more completely what they do  
6 from that website. Now what they're doing is  
7 they're putting in an array of pipes below an  
8 asphalt surface on the left. And although they show  
9 some kids playing there my assumption would be it  
10 would be more likely to be a parking lot. An  
11 asphalt parking lot. The asphalt will get very hot  
12 in the summer, it'll get very cold in the winter.  
13 So that serves as an ungrey [phonetic] solar  
14 thermal collector essentially. So what they're  
15 doing there... and they have multiple projects that  
16 have done this already is they're putting that heat  
17 from the left hand asphalt pipe array under the  
18 building into another pipe array shown by the red  
19 dots. So they're warming up the dirt under the  
20 building all summer long. Now you notice in this  
21 case they do use a heat pump to boost the  
22 temperature up when they need it. So basically this  
23 is again a way to get a more efficient use of... of  
24 the heat pump system as compared to bore holes  
25 where they're only looking at the deep earth

2 temperature. The temperature they'll get here is  
3 much higher than the deep earth temperature. And  
4 you'll notice they say they're going to double to  
5 the coefficient of performance by doing it this  
6 way. So it's not only less expensive than bore  
7 holes but you get double the COP. It's kind of a  
8 win-win situation you might say. So I think we can  
9 learn from this and maybe replicate some of this  
10 for what happens in... in this area. This shows  
11 heating only but there are also doing the reverse.  
12 They're collecting cold in the winter... storing that  
13 underground. This would be stored in a separate  
14 area underground, not the same area. So now you end  
15 up with two regions underground; one hot, one cold.  
16 So you get a higher coefficient of performance both  
17 summer and winter. This shows a picture of the  
18 early phase of installation again in England. As  
19 far as I know this is only being done in... in  
20 England. So I... I believe it's something right for  
21 picking up and replicating elsewhere including  
22 around here. You notice they do not have a  
23 connection at the center at this array of pipe. And  
24 so I believe it could be improved even beyond what  
25 is shown in this picture. Here is the largest



2 example that I would like to draw attention to. In  
3 this case they are going back to the use of bore  
4 holes. But they're using the dirt as the heat  
5 storage medium. And this is seasonal thermal  
6 storage being done in Canada near Calgary. And the  
7 name of the project is Drake Landing Solar  
8 Community. And the website is very simple. It's D L  
9 S C dot C A. So basically in this case they're  
10 using a fairly large array of... of flat plate solar  
11 thermal collectors on the garage roofs of a housing  
12 complex where there are 52 freestanding homes.  
13 These are two story homes that are roughly 16  
14 hundred to 2,000 square feet I believe. So all  
15 summer long they're putting heat into those 144  
16 bore holes. And they're about 120 feet deep. So the  
17 temperature they're able to get in the dirt is... is  
18 up to 70 to 80 degrees centigrade. And that's  
19 enough heat to... to heat all of those homes in the...  
20 in the winter of the middle of Alberta, Canada. And  
21 it's been operating for about eight years and it  
22 works quite well. Here's a cross section view of  
23 those 144 bore holes. It doesn't show all 144 here.  
24 Basically it's a cross section view showing both  
25 the... the depth and the width of the bore hole

2 array. And also I put in a hemisphere there to  
3 replicate what you might do if you had just a  
4 horizontal spiral array up at the top. Now this  
5 system does have eight inches of insulation at the  
6 top. So they... they avoid losing heat into the  
7 atmosphere. That is... that is a requirement for all  
8 of these types of systems basically. So there...  
9 there are three elements of cost if you want to put  
10 in these kind of arrays. There's the plastic pipe.  
11 There's the insulation. And there's the excavation.  
12 Three costs. But again it tends to be less for the  
13 equivalent... of... of doing bore holes or standing  
14 column wells. Now the disadvantage of what was done  
15 at... at the drake landing community in Canada is it  
16 was too expensive. So no one has replicated it at  
17 this point because of these high cost numbers.  
18 You'll notice that the... the bore hole field all by  
19 itself was \$620,000. And so that comes about to  
20 about \$62 per square foot. If you compare that cost  
21 per square foot with what we had previously back  
22 here the cost per square foot for these examples is  
23 about \$2.40 per square foot. So it's tremendously  
24 different if you do not spend the money for those  
25 144 bore holes. But you're still able to use a heat

2 pump with it if you want to and get a good result.  
3 So... so far we've talked about three different types  
4 of solar thermal collectors; unglazed type, what  
5 are called evacuated tube type, and flat plate  
6 type. So this shows the result. This would be  
7 perhaps more interesting to an engineer rather than  
8 to other people. But what it shows is that the un...  
9 the evacuated tube types will work at a... with a  
10 very high outdoor temperature. The unglazed types  
11 will... will not. I think in the interest of time I'm  
12 going to speed this up. This is a graph that shows  
13 the cost of putting in four different types of  
14 seasonal thermal energy storage systems  
15 underground. You'll notice that one type that we've  
16 talked quite a bit already about are... is the bore  
17 hole. That's shown in... in green there. There's also  
18 aquifer storage which is very predominant in the  
19 Netherlands. But it may not be appropriate for  
20 around here. There is the concept called pit  
21 storage which is very widespread in the country of  
22 Denmark and works quite well. And then there is the  
23 use of just very large tanks, these would be  
24 insulated tanks to store a large enough amount of  
25 water to... to provide heating all year long. Now the

2 spiral array with an insulator on the top would  
3 need to be about 90 to 100 feet in diameter to... to...  
4 to represent 400 cubic meters which would... which  
5 would be similar to the very smallest of those  
6 tanks at the top. However, the cost we estimate is  
7 going to be instead of 450 to 500 euros per cubic  
8 meter it's going to be about 50... 50 to 60. So we  
9 think we have a much less expensive way to do  
10 seasonal thermal storage. Here's something else  
11 that is being developed only in Europe as far as I  
12 know. And I'm trying to... to follow it but it's... the  
13 website is shown at the bottom right. It's called  
14 fluid glass. And the website is fluid glass dot E  
15 U. And they are starting to publish some fairly  
16 interesting engineering reports on this concept.  
17 And I think it would be appropriate for New York  
18 City. The idea is that these are special type of  
19 windows. They have four... four panes of glass. And  
20 this is taken directly from that website... pardon  
21 me. The four panes of glass are shown here in gray.  
22 So that leaves three hollow spaces that can be made  
23 use of. What they're proposing to do is have water  
24 flowing in one or more of those hollow spaces. So  
25 the example they show here is with water flowing in

2 the outer most hollow space and in the innermost  
3 hollow space. So they can collect either hot or  
4 cold with the water that flows in the outermost  
5 hollow space. And they can help condition the room  
6 with the water that flows in the innermost hollow  
7 space. Now I believe that there is a... yet a... some...  
8 some other interesting ways that this system can be  
9 used. And let me just mention two that I think  
10 would be somewhat better than what this shows. If  
11 you reverse the colors between blue and yellow,  
12 there you can have water flowing in the center most  
13 hollow space only. So you would have then a triple  
14 pane window, very highly insulating, but you also  
15 have essentially a flat plate glazed solar thermal  
16 collector. So the water that flows in that central  
17 space can get very hot and if you have a place to  
18 store it most likely underground you could bring...  
19 bring that heat back and use it in the winter. So  
20 that to me represents an interesting opportunity.  
21 The other interesting opportunity is if you have  
22 water flowing only in the outer most hollow space  
23 and leave the other two spaces filled with air or  
24 gas or even a vacuum. Some people are... are doing  
25 vacuum for the... for these types of windows. You

2 again have a... a... a triple glazed... I mean a... a... a... a  
3 triple glazed window which... which is highly  
4 insulating but you can collect cold with the  
5 outermost hollow space with water flowing there. So  
6 what I believe we can look forward to not in the  
7 next year or two but in the next five to 20 years  
8 would be some steps going towards a more fossil  
9 fuel free New York City. And I've listed here five  
10 different tasks to think about doing. Task number  
11 one; develop large scale seasonal thermal storage  
12 which is kind of an offshoot of ground stores heat  
13 pump technology. It basically is an enhancement of  
14 the standard ground source heat pump ideas. Get a  
15 higher efficiency and a lower cost. Number two, I  
16 guess I can call the bullet points; build more and  
17 larger solar electric and wind farms perhaps  
18 offshore. They're certainly doing it in Europe,  
19 Germany, England, Denmark. They're doing all of  
20 this more and more. Number three, which might look  
21 a little bit unusual; pumped hydroelectricity. I  
22 believe that can be done along the Hudson River and  
23 the Delaware River because you have fairly high  
24 hills up... upstream on both of those rivers. And  
25 again they're doing this in Europe right now. Along

2 the Rime River they're... they do have pumped hydro  
3 there. And the idea is to make sure you can store  
4 the energy from the solar electric generation and  
5 the wind farm generation to give you a steady  
6 electricity source even though the sun may not be  
7 shining or the wind may not be blowing. The fourth  
8 bullet point down there is the use of the multi-  
9 pane windows to collect both hot and cold. And then  
10 the last bullet point I'm suggesting the use of ice  
11 storage tanks with heat pumps or chillers for  
12 diurnal thermal storage. So I'm optimistic that  
13 these kind of approaches can lead to essentially a  
14 fossil free New York City within the next several  
15 decades. So thank you again for inviting me and I  
16 hope it's been useful.

17 CHAIRPERSON CONSTANTINIDES: Thank you...  
18 thank you all. I have a few questions. What do you  
19 believe... regulatory impediments to widespread  
20 geothermal energy use in New York City?

21 BOB WYMAN: Well one of the significant  
22 impediments that we've had in the past has been  
23 that NYSERDA and PSC have essentially had a policy  
24 opposed to the technology, that explicitly  
25 prohibited or discouraged people from installing

2 it. As you... I think you may have heard of the  
3 phrase fuel switching. A lot of our state funds  
4 have traditionally been collected through the  
5 system's benefit search either from gas consumers  
6 or electric consumers. It's been the position of  
7 NYSERDA and the PSE in the past that they would  
8 then encourage you to improve efficiency of an  
9 electrical system or a gas system using those  
10 monies. But if for instance you wanted to switch  
11 from a very dirty inefficient oil furnace to for  
12 instance a highly efficient clean geothermal heat  
13 pump you would get no benefit from the state and  
14 you would... you would not be allowed to use that  
15 for... for any renewable credits or whatever. And  
16 this is because it was fuel switching. It was... it  
17 was considered even though you were an electrical  
18 customer and you were becoming more efficient in  
19 your electricity it was considered a bad thing. Our  
20 hope is that in the REV [sp?] process as they move  
21 more towards a policy of fuel neutrality that the  
22 government... that the state government policy will  
23 in fact be able to respond to what is most  
24 efficient and what is most clean as opposed to  
25 whether or not it's switching between fuels and



2 things. We also have a difficulty in that a lot of  
3 our policies are very silo-ed. For instance, once  
4 again NYSERDA and PSE policies, even federal  
5 policies, will often reward anything which say will  
6 reduce electrical consumption over the period of a  
7 year okay. On the assumption that reducing  
8 electrical consumption results in efficiency  
9 increases. But the reality is that something like a  
10 ground source heat pump system will typical redu...  
11 yes it will reduce your electrical consumption  
12 during the summer. But because it's... it's  
13 substituting a small amount of electricity for the  
14 fossil fuels that you would have burned during the  
15 winter for heating it increases your consumption  
16 during the winter. If you're in a heating dominant  
17 climate like we are here in New York the result is  
18 that your aggregate electrical consumption for the  
19 year will often increase even though what's  
20 happened here is... is really great for the utilities  
21 and the rate barriers. You've reduced your  
22 consumption during the summer when you're cooling  
23 okay. And that's the most expensive electricity.  
24 You've increased your consumption during the winter  
25 which is and... and... and you do that at a time when

2 you're not... when you're essentially increasing  
3 utilization of the grid and thus you're increasing  
4 the profitability of the utility during the winter.  
5 Yet because it's an overall aggregate increase  
6 government policy and regulations will discourage  
7 this or prevent it in many cases. The... the shame  
8 here of course is that well say take... I mentioned  
9 before Brooklyn and Queens. If in fact, we were to  
10 convert say 20,000 homes or living units in  
11 Brooklyn Queens to ground source heat pumps we'd  
12 see... we'd see the 40 megawatt reduction in peak  
13 load that they're trying to get for the 150 million  
14 dollars they're spending. The interesting thing is  
15 that instead of having to charge the citizens of...  
16 of Brooklyn and Queens increased rates in order to  
17 pay the 150 million dollars because a ground source  
18 heat pump system would be increasing consumption  
19 during the winter when it is essentially free for  
20 the power company to provide that power okay. It's  
21 entirely possible that if you were to convert to  
22 ground source heat pumps in Brooklyn and Queens  
23 that you would see a reduction in rates rather than  
24 having to tack on additional fees to cover the 150  
25 million dollars because essentially the power

2 company would make up for the money during the  
3 winter that it was spending to reduce the power  
4 consumption during the winter... during the summer.  
5 We have a lot of these very odd sort of conflicts  
6 that are written into our regulations and written  
7 into our laws which are based on... on say you know  
8 old thinking or people not thinking systemically.  
9 Many cases where for instance this business of... of...  
10 of equating the reduction in electrical consumption  
11 with efficiency somehow is an... an environmental  
12 quality is... is written into the law okay. The... this  
13 was... this was actually reflected on by our public  
14 service commission and their response to the clean  
15 power plant regulations where they pointed out in  
16 those regulations there... in their response to the  
17 EPA on those regulations. And they explicitly said  
18 that it is entirely possible that in New York State  
19 it would be much more cost effective for us to  
20 encourage the... to... to address the thermal energy  
21 power... thermal energy issues than to address the  
22 electrical energy issues. It would be much more  
23 cost effective for us in New York state to do  
24 things like increase the consumption of electricity  
25 while decreasing dramatically the amount of fossil

1 fuels. So the... this just gives you some sense. We  
2 also have other things in New York City. We've got  
3 the problem with sidewalks. You know one of the  
4 things that's in the bill for instance is the  
5 statement that the... the city should identify space  
6 available or space suitable for the installation of  
7 this... of... of this technology. As you know in most...  
8 most areas in New York City a building covers the  
9 entire ground it sits on except for the sidewalk  
10 and maybe the... the alley in the back. It turns out  
11 for a lot of smaller buildings or even some very  
12 large ones with... with standing column wells the  
13 sidewalks provide enough space to in fact heat and  
14 cool the entire building. They're all you need. For  
15 instance, the seminary building that was mentioned...  
16 that's basically drilling in the sidewalk. It's  
17 drilling in the perimeter of that... that building.  
18 The difficulty is... is getting permission do drill a  
19 small hole, not a long pipe but just a small  
20 vertical hole in the sidewalk can... can be very  
21 difficult and it requires that you pay annual fees  
22 for essentially renting your piece of the sidewalk.  
23 The question I have on a regulation like this is  
24 that I can see how that makes sense for a pipe or  
25

2 if you're going to... you're going to put... extend  
3 your building somehow and take advantage of it. But  
4 the city should want everybody who can to install a  
5 cleaner cheaper heating system. The city should be  
6 doing everything it can to encourage people to be...  
7 to be using available space such as the sidewalks  
8 to... to install vertical... vertical bores. There...  
9 there's very few better ways to use those sidewalks  
10 than to... than to reduce the... the fossil fuel  
11 consumption of those buildings. All the way through  
12 our regulatory... our regular... regulations you'll  
13 find these sort of odd things. It's not because  
14 people I think have been opposed to the idea of the  
15 geothermal but rather that most of those  
16 regulations were written by people who were not  
17 thinking about this technology, who were not  
18 anticipating it, and who certainly didn't  
19 understand the consequences of what they were  
20 doing. For instance, the... the guys who write you  
21 know demand... management demand reduction  
22 regulations trying to encourage people to reduce  
23 the consumption of electricity they're... they're  
24 absolutely doing you know what they think is... is  
25 the right thing. They just don't realize that when

2 you take things to reductions in electrical  
3 consumption you're discouraging not only ground  
4 source heat pumps you're also discouraging things  
5 like electrical vehicles okay. And we need both of  
6 those moving forward. So my apologies for a long  
7 answer but there are many issues on the regulatory  
8 side.

9 CHAIRPERSON CONSTANTINIDES: I  
10 definitely hear you. I think we need... definitely  
11 need to work closer with NYSERDA as my colleague  
12 brought up to ensure that they're...

13 BOB WYMAN: Oh I should probably...  
14 probably say now sorry to interrupt but NYSERDA has  
15 just created a... a new office to which they've  
16 appointed the... to... Director of... of Renewable  
17 Thermal Technologies. Donovan Gordon has just been  
18 appointed to that position. So we're hoping... And  
19 this is one of many signs that NYSERDA is getting  
20 it now where they didn't in the past. But we're  
21 hoping that the... the Office of Renewable Thermal  
22 Technologies Programs, sorry, and the funding that  
23 they've been given means that they'll... and... and  
24 what's going on in the REV and the clean energy  
25 process. We're hoping that that will be a... a... a

2 real see change in the way NYSERDA approaches these  
3 problems in the future. Sorry.

4 CHAIRPERSON CONSTANTINIDES: ...mean so...  
5 just to kind of go back. We talked a little bit  
6 with the administration about this but there are  
7 areas of the city that are better for geothermal  
8 you would say that throughout the five boroughs we  
9 could do geothermal.

10 FREDERICK STUMM: Well like Alex had  
11 mentioned from the DDC obviously you know Brooklyn  
12 and Queens is... is already... you know you have the  
13 material. Depending on the location and the type of  
14 system. Obviously the salt water issue. But that  
15 can be you know mitigated depending on the type of  
16 system that's put in. And that's... you know again  
17 using... depending on the location I know... like was  
18 mentioned on some of these larger scale projects  
19 like the seminary they did utilize the sidewalk  
20 space to... to put the standing column type of design  
21 in. So the... the approach would be to use you know  
22 some of these maps as a screening tool. But yeah. I  
23 mean it's... each of the boroughs have its own... has  
24 its own unique sort of geology and hydrology.  
25 Somewhat also Staten Island has similar aquifers

2 as... as Kings and Queens in certain locations. Other  
3 parts of it has more of a bedrock type of outcrop.  
4 So...

5 CHAIRPERSON CONSTANTINIDES: So having  
6 that screening tool that the administration talked  
7 about before would definitely be a... a solid  
8 addition to the bill?

9 FREDERICK STUMM: Right.

10 BOB WYMAN: The... the... the... in principle  
11 a screening tool would be a wonderful idea. In  
12 practice we should understand that it could have  
13 very significant issues. And that is that the  
14 screening tool will undoubtedly imbed within it  
15 assumptions about the technology, assumptions about  
16 what... what are the characteristics of... of the  
17 systems that can be used in these areas. And the  
18 re... the reality is I think from everything I've  
19 seen from the administration so far in their  
20 various manuals and such the... they are not  
21 completely up to date on the technologies that are  
22 applicable in an urban space like ours. This isn't  
23 surprising because frankly the problem... or shall we  
24 call it urban geothermal has not been well explored  
25 in this country even though overseas in... in... in



2 places like you know the Scandinavian countries and  
3 European countries they've done a lot that... a lot  
4 more than we have. For instance, you know just in...  
5 in Queens well let's say... say... see in that part of  
6 the country... see the far... city... Like in the  
7 Rockaways given the type of soil they have, given  
8 that the water level is so close to the... to the  
9 surface there are even opportunities to use some  
10 techniques that haven't even been discussed here  
11 today which is... which is a vertical technique but  
12 using augurs which are essentially big post hole  
13 diggers. Where what you do is you don't drill 100  
14 feet down, you don't drill 500 feet down, what you  
15 only... what you do is you go down 20 to 25 feet but  
16 with a 24-inch-wide pipe. And then you put what are  
17 called DX pipes within this. Essentially you make a  
18 pipe full of water in the ground and it turns out  
19 in that kind of soil this is a... a particularly  
20 cheap and effective way which is suited for the  
21 Rockaways but would be a total waste of time in  
22 Manhattan okay, or even the Bronx or something. But  
23 it's a... it's a... it's a marvelous technique which is  
24 appropriate for the Rockaways and they've got some  
25 experience out on Long Island in doing this. And I

2 think what... this is why when I spoke before I asked  
3 that an RFI be considered because I think what we  
4 really need to do is to give industry the  
5 opportunity to come in and... and... and tell us... not  
6 only industry but also you know people at the  
7 universities and the rest you know tell us the  
8 different techniques that they would use if in fact  
9 there was an opportunity here to do... to do a lot  
10 of... of geothermal, to essentially give them the  
11 scale. There are all sorts of things. Like we know  
12 for instance there are hammer drilling techniques  
13 where you can go into... into a basement okay. So if  
14 you don't have a sidewalk, if you don't have any  
15 space given this different kinds of soil you can  
16 actually going a basement and you can drill  
17 vertical bores from inside a basement using various  
18 techniques. That... they do a lot of that up in  
19 Canada for instance. They'll go in the parking lot  
20 under a building and they'll put in bore holes  
21 under the... under the... under the... under the parking  
22 lot without disturbing the building above it. These  
23 are technologies and techniques that have not been  
24 used here in the city because in the city there is  
25 essentially no geothermal business. You know what

2 we know is we got maybe a hundred or so geothermal  
3 installations today. Six of them in city buildings.  
4 There is no industry here and the result is that  
5 the city has not been exposed to... to the kinds of  
6 innovations that could be used in the city if... if  
7 only we were to encourage people to come here and  
8 tell us about them.

9 CHAIRPERSON CONSTANTINIDES: No man I  
10 hear you man. I mean I represent a district in  
11 Queens that we have many multi-family homes. And...  
12 and how we can best utilize geothermal in... in... in  
13 these types of neighborhoods or something I'm... I'm...  
14 [cross-talk]

15 BOB WYMAN: Right and... and you guys...  
16 you're all pay... you... those people are all paying  
17 too much. It... it... it's... the... the fossil fuel people  
18 have really convinced people I think in many cases  
19 that the fossil fuels are cheaper. And... and sort of  
20 everybody gets scared of the upfront costs on the  
21 geothermal systems and the heat pump systems. The  
22 reality is if we do lifetime cost of... of... of energy  
23 we find out in almost every case, especially in  
24 places like... like Queens where you got the ground  
25 that you do that the geothermal systems will be

2 cheaper. The problem with them isn't that they're  
3 cheaper. The thing is that today they're  
4 unaffordable okay because of those upfront costs is  
5 the question you asked before. However, we know  
6 that in the solar industry they had exactly the  
7 same problem. They know that you put up a solar  
8 panel. It costs you some money to put it there but  
9 once you... once you've done it you've essentially  
10 got free power for the rest of your life or at  
11 least the next 20 or 30 years. The problem with  
12 solar panels was they're too expensive to install,  
13 the upfront costs. So they solved the problem. And  
14 the way they solved it was through third party  
15 ownership, by having people come in and say yeah we  
16 want you know 20 30 year investments. It'll give us  
17 a five, six, eight percent return over the 20 or 30  
18 years. If we had... if we could encourage the same  
19 sort of thing say for those buildings out in Queens  
20 where you are essentially tell people we're going  
21 to do the same thing for geo... for your heating  
22 system that we'll do for your electricity system  
23 okay for no money down from you okay we will put in  
24 a heating system and then you'll pay us essentially  
25 a monthly fee for the next 20 30 years unless you

2 want to buy the thing out okay just like a solar  
3 panel today. And that's how 90 percent of solar  
4 panels get... get... get installed today. What... what  
5 you'll have is you'll have cheaper cleaner heating.  
6 Okay you'll have almost dead certainty of what your  
7 heating and cooling costs will be from year to year  
8 as opposed to that... today when you're betting on  
9 what the price of oil or gas is going to be okay?  
10 The thing we need to do to make this possible is to  
11 essentially go to the financial community, go to  
12 the people who would do this okay and... and tell  
13 them we want it to happen and we as a city are  
14 going to encourage it to happen and... and... and we're  
15 going to plan the process. Because we know as I  
16 said before we're going to do this okay. Over the  
17 next I don't know 10 20 30 40 50 years we are going  
18 to get those dirty expensive fossil fuel systems  
19 out of not only the Queen... out... not... out of not  
20 only Queens but also the rest of the city okay.  
21 Let's start this process. People believe that we  
22 were following this process, that we actually were  
23 moving forward you would have third party ownership  
24 programs appear for... for heating systems just as we  
25 have them for solar. And they would be just as... I

2 won't say... actually just as... as applicable. You'll  
3 find that they'll be even more effective than they  
4 are for solar. The difference is that almost every  
5 building in the city... almost every building in the  
6 city can use geothermal whereas only a small number  
7 of them can really benefit from... from... from the  
8 solar technologies. I'm not in any way against  
9 solar. I'm just from a... from a scale point of view  
10 that many more buildings can... can benefit and much  
11 more energy can be reduced and... and generated on  
12 site with... with the heat pumps then... then with the  
13 alternatives.

14 CHAIRPERSON CONSTANTINIDES: So you're  
15 saying that you believe that geothermal could be  
16 widespread?

17 BOB WYMAN: Yeah I... [cross-talk]

18 CHAIRPERSON CONSTANTINIDES: What  
19 percentage do you think of the million buildings do  
20 you think... [cross-talk]

21 BOB WYMAN: Well if we believe the guys  
22 at Columbia they did a... they did a... Professor Modey  
23 [sp?] and his people did a study on this a while  
24 back. And they said that their estimate was it's  
25 something on the order of... of 800,000 of the city's

1 buildings, that's about 80 percent, could benefit  
2 from... from this technology. They said primarily  
3 it's basically Manhattan's the problem. As he  
4 pointed out to you on the slides there... there are a  
5 couple spots in Manhattan where you can do it but  
6 otherwise you're doing... you're... you're... you're  
7 doing standing column wells and very expensive  
8 things. And it's... it's hard. If you look at the...  
9 the rest of the city where... where the buildings are  
10 a... a very large portion of the city. I think... I  
11 think actually the Columbia numbers when I looked  
12 at their maps which they haven't formally let out.  
13 They... they didn't account for things like the water  
14 tunnels and a few other issues so maybe it's not  
15 800,000, maybe it's 600,000. But that is a very  
16 large number of buildings. And... and that's  
17 essentially buildings that we could convert today  
18 given the technologies that we know about today.  
19 Once we have an industry in place. Once we have  
20 people actually you know digging into the problem  
21 of urban geothermal I think what we'll do is we'll  
22 develop the technology so that we can actually get  
23 to the 800,000 level.  
24

2 CHAIRPERSON CONSTANTINIDES: Thank you  
3 so much for your testimony gentleman. I appreciate  
4 your time and efforts. Thank you so much. Alright  
5 we have one last panel. We have Ling Tsou from  
6 United for Action. And we have Katherine Scopic  
7 [sp?] from the People's Climate Movement New York.  
8 Hi good afternoon. Samara will swear you in.

9 COMMITTEE CLERK SWANSON: Please raise  
10 your right hand. Do you swear affirm to tell the  
11 truth, the whole truth, and nothing but the truth  
12 today?

13 CHAIRPERSON CONSTANTINIDES: Who'd like  
14 to go first?

15 [background, off-mic comments]

16 LING TSOU: My name is Ling Tsou. I'm a  
17 Co-founder of United for Action which is a  
18 grassroots or volunteer activist group based in New  
19 York City. And we advocate for no fossil fuels. No  
20 clear... no nuclear energy. And we want to promote  
21 conservation, energy efficiency, and renewable  
22 energy. I just wanted to say thank you to Chair  
23 Constantinides and your staff for this initiative,  
24 for holding this hearing you know for geothermal  
25 and promoting renewable energy. And we all know



2 that climate change is the most critical issue  
3 today. Because if we don't solve this issue today  
4 it may be too late. You know there will come a  
5 point when the damage is irreversible. And we have  
6 to act now. And I really believe that if we do  
7 what... you know we... we throw in all the resources  
8 and all the talents we have. We should be able to  
9 go 100 percent renewable in 2030. I think going  
10 just 80 percent reducing the greenhouse gas in 2050  
11 is too... too late... too far away. And I think  
12 geothermal is just one tool in all the renewable  
13 energy. And we can combine that with solar, with  
14 wind, hydroelectric, small ones, not the huge dam.  
15 And... and you know power storage. We should be able  
16 to get there. And if Germany can get more than 50  
17 percent of their energy from renewable sources now  
18 we can certainly do better than that because they  
19 don't have the... you know they don't have sun... they  
20 don't have the kind of weather we have here. So  
21 thank you very very much. And with your help you  
22 know we'll get there.

23 CHAIRPERSON CONSTANTINIDES: Thank you.  
24 Thank you. Alright Ms. ...

2 KATHERINE SCOPIC: Greetings. And thank  
3 you to members of the New York City Council and to  
4 the Environmental Protection Committee Costa  
5 Constantinides for introducing this local law to  
6 enable the installation of geothermal renewable  
7 energy in New York City particularly as our  
8 buildings account for about 75 percent of our  
9 emissions. I applaud you for the timeline of  
10 beginning reporting by July 1<sup>st</sup> of 2016 as the  
11 issue is so urgent. And after just hearing Bob  
12 about how many buildings by the 60... 600,000  
13 buildings it's... it's extremely important and I  
14 doubly applaud you. As I've taken several courses  
15 at General Theological Seminary located at 170... 175  
16 9<sup>th</sup> Avenue and 20 Street Chelsea I am aware that in  
17 August 2006 having received approval from Community  
18 Board 4 on July 26 they began work on their long  
19 plan for geothermal heating cooling system. At that  
20 time, they created the single largest geothermal  
21 well field in New York City area consisting of 22  
22 standing column wells installed beneath the  
23 sidewalks surrounding the campus. They had to drill  
24 down into the bedrock to a depth of 1,500 feet and  
25 the empire state building to the top of its

2 lightening rod is 1,453 feet. So they had to drill  
3 down further than the Empire State Building is  
4 high. As they were interested in preserving the  
5 integrity of their buildings the hot water system  
6 fit perfectly with the hotter... hot water systems  
7 the buildings already had. There was little  
8 construction needed for the buildings. They  
9 expected to recoup their costs within nine years so  
10 that year 10 would be clear with low maintenance  
11 for this geothermal system has been estimated to  
12 reduce general theological seminaries, carbon  
13 dioxide emissions by more than 1,400 tons a year.  
14 That's pretty significant. I thank the council and  
15 Samara Swanson for the outstanding side sourced  
16 and... site sourced and stored renewable energy  
17 conference held February 27<sup>th</sup> of this year at the  
18 CUNY advanced science research center Steinman Hall  
19 that presented several types of closed and open  
20 vertical and horizontal loop geothermal systems. It  
21 was a most educational conference especially on  
22 this renewable energy source and served as good  
23 preparation. I have two questions and this  
24 morning's panel in part answer them but I'm going  
25 to read it anyway. This bill calls for reporting of

2 the number of city owned buildings in each district  
3 for which instillation of a geothermal system would  
4 be cost effective. This implies the need for more  
5 trained professionals able to make these  
6 assessments. Will there be funding from the city  
7 for training the people needed for these jobs?

8 Second question... In the case of general theological  
9 seminary, it took quite a while to get community  
10 support for the project as drilling was required.  
11 In fact, in speaking with them they said it took a  
12 lot longer than they thought it was going to take  
13 to get the community on board. Will there be  
14 coordination with the related city agencies to ease  
15 any potential difficulties and help the... the  
16 geothermal installation processes go smoothly?

17 Again I applaud and thank you for taking this step  
18 to move us closer to reducing our... reducing our  
19 greenhouse gas emissions. And I hope it's not in...  
20 inappropriate for me to put in this plug here. I  
21 hope that if there's anything you can do to help  
22 the city obtain power purchase agreements for  
23 offshore wind that could also help us reduce  
24 greenhouse gasses in a big way. I hope you will.  
25 Thank you for this opportunity for comment.

2 CHAIRPERSON CONSTANTINIDES: Thank you.

3 I think we're looking at all renewable energy  
4 sources. So there will be many more hearings to  
5 come. We'll be discussing many other potential  
6 technologies as we move along so...

7 KATHERINE SCOPIC: Wonderful. I am so  
8 impressed by this and I look forward to doing  
9 anything I can as both a citizen and a member of  
10 several different environmental groups to support  
11 you in your work.

12 CHAIRPERSON CONSTANTINIDES: I  
13 definitely appreciate that. I definitely appreciate  
14 your time both here today. And you know as we move  
15 forward to reducing the city's greenhouse gas by 80  
16 percent by 2050 we need to... we need every sector to  
17 play a role. And buildings most certainly have to  
18 be a main focus for us.

19 LING TSOU: Well if we... [cross-talk] all  
20 work hard we'll get there sooner than 2050.

21 CHAIRPERSON CONSTANTINIDES: Absolutely.

22 LING TSOU: That's our goal.

23 CHAIRPERSON CONSTANTINIDES: Absolutely.

24 Absolutely. I want to thank you both for being here

25

2 today and thank you for your very thoughtful  
3 testimony. I appreciate it.

4 KATHERINE SCOPIC: You're welcome.

5 LANG: Thank you. Thank you very very  
6 much.

7 KATHERINE SCOPIC: Thank you.

8 CHAIRPERSON CONSTANTINIDES: Thank you.  
9 I want to make sure that I thank... oh you're... you... I  
10 want to make sure I thank the committee staff for  
11 their hard work today. Our legislative attorney  
12 Samara Swanson and our Policy Analyst Bill Murray  
13 for your efforts to put this hearing together and  
14 all of your continued work on behalf of the people  
15 of the city of New York and our environment. So  
16 thank you Samara and thank you Bill for your great  
17 work. I want to thank my own staff Nick Wazowski,  
18 Shara Sharone [sp?], Nick Rolfson [sp?], Nickie  
19 Pacinos [sp?] for all their work to help with this  
20 hearing today. Together. I want to make sure that  
21 I... I recognize again the Mayor's Office of  
22 Sustainability and DDC for their good testimony  
23 today. I... I see it and I want to make sure I... I  
24 thank all of the scientists and advocates that were  
25 here today that spoke. I think we have... Okay so we

2 also... for the record we also have testimony that  
3 was handed but not... not... not given today from John  
4 Riner [sp?] from PW Grocer [sp?], the plumbing  
5 institute, and I believe I also was handed  
6 testimony from AIA. Yes? Yes. Okay. So I was also  
7 handed testimony from AIA that will be going on the  
8 record. I think that we do have a path here to make  
9 it easier to implement geothermal in the city of  
10 New York to expand its use. And I'm looking forward  
11 to working with the administration to getting this  
12 done, and getting this done in a timely fashion. So  
13 thank you so much. And with that I'll... I'll gavel  
14 this hearing of the Environmental Protection  
15 Committee closed.

16 [gavel]

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

World Wide Dictation certifies that the foregoing transcript is a true and accurate record of the proceedings. We further certify that there is no relation to any of the parties to this action by blood or marriage, and that there is interest in the outcome of this matter.



Date September 28, 2015